

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

National Coal Council

2015 Annual Spring Meeting

9:00 a.m. to 12:43 p.m.

Wednesday, April 8, 2015

Grand Hyatt Hotel

1000 H Street, NW

Washington, D.C. 20001

OLENDER REPORTING, INC.  
1100 Connecticut Avenue NW, #810, Washington, DC 20036  
Washington: 202-898-1108 • Baltimore: 410-752-3376  
Toll Free: 888-445-3376

	CONTENTS	
		PAGE
1		
2		
3	JEFF WALLACE, Welcoming Comments	3
4	DAVID MOHLER	9
5	MIKE MARSH	38
6	LAWRENCE MAKOVICH	89
7	PATRICK FALWELL	120
8	JONATHAN SULTOON	144
9	JANET GELLICI, Business-related Matters	175
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		

## 1 P R O C E E D I N G S

2 MR. WALLACE: If everybody could grab  
3 their seats, we will begin. Well, good morning,  
4 ladies and gentlemen. My name is Jeff Wallace.  
5 I'm the Chairman of the National Coal Council.  
6 The Spring 2015 Meeting of the National Coal  
7 Council is hereby called to order.

8 This morning we have a full agenda, and  
9 we will proceed. We're pleased to have Dr.  
10 Friedman's successor with us today, David Mohler,  
11 Deputy Assistant Secretary for Clean Coal and  
12 Carbon Management. We'll hear from Mr. Mohler in  
13 a few minutes. Congratulations on your  
14 appointment. We certainly look forward to  
15 working with you.

16 I'm also pleased to recognize Robert  
17 Wright as Senior Advisor in the DOE Office of  
18 Fossil Energy as the Federal Designated Officer.  
19 Welcome, Bob. It's good to have you with us here  
20 today.

21 We have other exceptional speakers on  
22 today's agenda. Following Mr. Mohler's opening

1 keynote, we'll have a keynote presentation from  
2 Mike Marsh, acting President and CEO with  
3 SaskPower.

4           Following a program break, we'll hear  
5 from three industry experts. Dr. Larry Makovich,  
6 with IHC CERA, will discuss opportunities for  
7 grid-scale energy and storage for coal power  
8 plants.

9           We'll then hear from Patrick Falwell with  
10 Center for Climate and Energy Solutions on the  
11 topic of opportunities for financing CCS projects  
12 and the impact of oil prices on CO2 for projects.

13           Finally, we'll hear from Jonny Sultoon  
14 with Wood Mackenzie, who will provide us with an  
15 international coal market outlook.

16           We'll conclude our program today with  
17 some council business.

18           This meeting is being held in accordance  
19 with Federal Advisory Committee Act and  
20 Regulations that govern that Act. Our meeting is  
21 open to the public. I would like to welcome  
22 guests from the public who have joined us today.

                  OLENDER REPORTING, INC.  
1100 Connecticut Avenue NW, #810, Washington, DC 20036  
Washington: 202-898-1108 • Baltimore: 410-752-3376  
Toll Free: 888-445-3376

1 An opportunity will be provided for guests to  
2 make comments at the end of this meeting.

3 A verbatim transcript of the meeting is  
4 being made; therefore, it's important that you  
5 use the microphone when you wish to ask a  
6 question and that you begin by stating your name  
7 and affiliation.

8 Council members have been provided copies  
9 of the agenda for today's meeting. I'd  
10 appreciate having a motion for the adoption of  
11 the agenda.

12 MR. NARULA: So moved.

13 MR. WALLACE: Do we have a second?

14 MR. ALI: Second.

15 MS. GELLICI Ram Narula was the first;  
16 who was the second? Sy Ali second.

17 MR. WALLACE: All in favor?

18 (Chorus of "Aye.")

19 MR. WALLACE: Opposed?

20 (No audible response.)

21 MR. WALLACE: Thank you.

22 Now I'd call to the podium our National

1 Coal Counsel legal counsel, Karen Bennett, with  
2 Hunton and Williams, who will provide us an anti-  
3 trust advisory.

4 MS. BENNETT: Thank you, Jeff, and good  
5 morning, everyone. It's at this time that we  
6 pause for a moment before we embark on the  
7 meeting today.

8 And it's my role to remind everyone that  
9 your participation in the Federal Advisory  
10 Committee meetings today is subject to federal  
11 anti-trust laws, and that these laws preclude any  
12 discussion of agreements or concerted actions  
13 that may be construed as restraining competition.

14 This would include discussions in the  
15 meeting, in the hallway, in the restrooms about  
16 prices, about market practices, or any other  
17 competitive aspect of your company or business or  
18 the industry.

19 We all have a shared responsibility for  
20 ensuring all discussion associated with today's  
21 meetings are consistent with these restraints.  
22 If you want further information, we have the

1 council's anti-trust policy in your packet for  
2 reference. And I will be here throughout the  
3 course of the meeting today and happy to answer  
4 any questions you might have.

5 With that, Jeff, thank you.

6 MR. WALLACE: It's now my pleasure to  
7 introduce our opening keynote speaker, David  
8 Mohler. Please note detailed bios for our  
9 speakers are included in your package. I'll  
10 highlight a few of David's previous experience.

11 He is Deputy Assistant Secretary for  
12 Clean Coal and Carbon Management with the Office  
13 of Fossil Energy at the U.S. Department of  
14 Energy. In this capacity, he's responsible for  
15 the DOE's R-and-D program in advanced fossil  
16 energy systems, large demonstration projects,  
17 carbon capture, utilization and storage, and  
18 clean coal technology deployment.

19 Previously, Mr. Mohler served as Senior  
20 Vice President and Chief Technology Officer for  
21 Duke Energy, where he was responsible for the  
22 development and application of technologies in

1 support of Duke Energy's strategic objectives.  
2 He also served as vice president of strategic  
3 planning for Duke Energy. Prior to the merger  
4 between Duke Energy and Cinergy, he served in the  
5 same role for Cinergy.

6 Mr. Mohler has operational experience in  
7 both nuclear and fossil power generation, as well  
8 as experience in corporate marketing, human  
9 resources, and business development.

10 He earned a B.A. from Indiana University,  
11 a B.S. from the University of the State of New  
12 York at Albany, an M.A. from Xavier University of  
13 Cincinnati and an M.S. from the University of  
14 Pennsylvania. He completed the Columbia  
15 University marketing management program and the  
16 Penn State University executive development  
17 program.

18 Join me in welcoming Mr. Mohler.

19 (Applause.)

20 MR. MOHLER: Well, Jeff, thank you very  
21 much for that introduction. I'm happy to be here  
22 this morning with all of you. It's, I think, a

1 good opportunity to get together and for me to  
2 meet some people that I have met before again,  
3 and to meet some new people. So I appreciate the  
4 opportunity very much.

5 I want to try to do three things. One is  
6 I'd like to sort of extend Jeff's introduction a  
7 little bit and answer a question that I've been  
8 asked many times in the past three weeks, which  
9 is, why did I join DOE? So I want to talk to  
10 that.

11 And I'd also like to talk a little bit  
12 about what's going on at -- what I see going on  
13 at DOE today and what I see kind of in the future  
14 as some major kinds of topical areas that we'll  
15 be exploring there.

16 So, the reason I joined DOE is really the  
17 combination of what I would call a set of  
18 inflection points and a Bruce Cockburn song. I  
19 don't know how many of you are of my generation  
20 and like Bruce Cockburn, but I'll try to link  
21 that in here in a minute.

22 So, in terms of inflection points, I've

1 been in the industry for 40 years and, you know,  
2 had a terrific career. Really, I've gotten to do  
3 a little bit of everything.

4 But I reached the point last year where I  
5 was very retirement-eligible and where my team in  
6 the technology group at Duke -- you know, I've  
7 always gone into new jobs with the idea that I  
8 wanted to build an organization that could do  
9 without me. And they were at a point where they  
10 were ready to fly without me. So it seemed like  
11 an ideal opportunity for me to kind of enter the  
12 next adventure, and so I took it.

13 The reason that I think the timing is  
14 very right for being at DOE has to do also with  
15 the number of inflection points, not personal in  
16 this case, but more industry and political. In  
17 the industry landscape, as I'm sure most of you  
18 are aware, we're in an era where we're replacing  
19 aging plant. So we've got some key decisions to  
20 make around, what do we replace with? And as we  
21 do that, how do we maintain a balanced portfolio  
22 and how do we actually improve our ability to

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 manage our water, our air, and our climate as we  
2 do that upgrading of facilities on the generation  
3 side?

4           We're also in an era where the developing  
5 world is energizing. And they're consuming more  
6 and more energy, burning more and more fuel. So  
7 there are great opportunities, in my opinion, on  
8 a global basis, to begin some very serious and  
9 significant partnerships that actually were, I  
10 think, very much accelerated by President Obama  
11 and President Xi's agreement on climate just a  
12 few months ago. So some exciting things are  
13 going on there.

14           Of course, we're in an era where there's  
15 continuing focus on modernizing the grid and  
16 bringing new resources into the mix both on the  
17 supply side and the demand side as it relates to  
18 the grid. And we have a number of changing  
19 business models out there today. You know, shale  
20 gas, I think, for many of us, me at least, was a  
21 huge curveball. I didn't see it coming in  
22 advance. And now that it's here, it really has

1 the potential to continue, I think, over time to  
2 change a number of business models in the energy  
3 industry.

4           So, those all make it kind of a prime  
5 time, an exciting time, I think, to be involved  
6 in an arena that enables us to do some really  
7 groundbreaking work around energy, and fossil  
8 energy in particular.

9           Political landscape, I was really, really  
10 pleased after Secretary Moniz began speaking  
11 publicly as Secretary, that he continuously  
12 articulated and continues to articulate an  
13 emphasis on "all of the above" as kind of an  
14 approach to the energy challenges we face. And I  
15 couldn't agree more, you know, with that  
16 approach.

17           I think there are some in the public  
18 arena who think all-renewable is an approach.  
19 There are others who might think all-natural-gas  
20 is an approach. But really, all-of-the-above is  
21 what it's going to take. So it's really  
22 compelling to have a leader who articulates that

1 as forcefully as the Secretary does.

2 I mentioned the agreement between  
3 President Obama and President Xi. I think that  
4 really puts a stake in the ground as we move  
5 toward Paris. And I think international  
6 partnerships are going to be an area ripe for  
7 advancing the technologies that we need into the  
8 future.

9 I'm also really, really impressed by the  
10 people that have been assembled at DOE today. So  
11 I've spent -- this is the third day of my third  
12 week, which is good for me, because if you guys  
13 ask me questions I don't know I'll be able to  
14 say, "Wait. I'm too new. I don't know that  
15 yet." But that escape aside, there's just a  
16 terrific group of people at DOE.

17 I spent yesterday at the National Energy  
18 Technology Lab, and I was equally impressed,  
19 continue to be impressed by the quality of the  
20 fundamental research going on in the national  
21 labs and how it all is being pulled together via  
22 DOE.

1           I think we have an opportunity to lay the  
2 groundwork for the future. So, I'm a political  
3 appointee, and I think I have a sense for what  
4 that means in terms of how much time I have to  
5 really accomplish something. But I really think  
6 that we're in a wonderful window right now, one I  
7 believe that we can lay a significant foundation  
8 that will continue into the future.

9           And to bring it back to Bruce Cockburn, a  
10 friend of mine asked me that question, why was I  
11 choosing to go to DOE? And there's a Bruce  
12 Cockburn song; maybe you know it as well. It's  
13 called "The Broken Wheel." And one of the lyrics  
14 that's always stuck in my mind is, "No adult of  
15 sound mind can be an innocent bystander." And I  
16 think that applies. It certainly does for me.

17           So, in terms of what's going on at DOE  
18 today, there's a very compelling landmark that  
19 we're about to achieve and we will achieve by the  
20 end of the week. And that is we will have safely  
21 injected 10 million tons of CO2 in deep  
22 geological formations across the U.S. in CCS

1 projects and regional partnerships and  
2 demonstration partnerships that have all been  
3 supported by DOE.

4           That's a huge landmark, in my mind. I  
5 was aware when I was with Duke, of course, and  
6 participated in the Midwest sequestration  
7 partnership, and we even had a small  
8 sequestration project at our East Bend site in  
9 Northern Kentucky, where we injected 3,000 pounds  
10 of CO2. So, my headset was kind of, "okay,  
11 thousands of pounds." Well, we're at millions of  
12 tons. So I think that's very significant and  
13 really lays a good groundwork going forward.

14           That, by the way, is the equivalent of  
15 removing 2 million cars from the roads for a  
16 year, which is another way to put it into  
17 context. There is continuing work, I think, to  
18 figure out how to extend and expand and really  
19 enable that kind of management of CO2 to continue  
20 and expand.

21           But another number that I ran into just  
22 the other day that impressed me was, today

1 roughly 5 percent of U.S. oil production is a  
2 result of enhanced oil recovery. That's  
3 significant.

4           And I think that as we continue to look  
5 for more opportunities for that -- enhanced oil  
6 recovery, in my mind, is one of the real  
7 opportunities as a bridge between where we are  
8 today and where we need to go in the future with  
9 ultimate storage of CO2. So I was thrilled to  
10 see that number.

11           I want to mention some of the major  
12 projects that are either in operation or soon to  
13 be in operation that there are really some good  
14 things to say about. One is the Petra Nova  
15 project that went from 60 megawatts to 240  
16 megawatts based on project economics alone. The  
17 60 megawatts was DOE supported; the 240 megawatts  
18 was a business decision. So that is a terrific  
19 kind of example of how things are moving forward.

20           As is the air products project in Port  
21 Arthur, Texas, where they're capturing greater  
22 than 90 percent of the CO2 from hydrogen

1 production and have stored about 1.8 million  
2 tons.

3           And the Archer Daniels Midland project,  
4 and the storage and saline aquifer in the  
5 Illinois basin from ethanol production is another  
6 example of, they have kind of a robust project  
7 that in this case is not ER-related and not  
8 directly power-generation related.

9           (Pause.)

10           MR. MOHLER: I apologize. I have tree  
11 pollen allergies, and Washington seems to have a  
12 number of flowering trees right now.

13           (Laughter.)

14           MR. MOHLER: On the global front, there  
15 are a number of very interesting and robust  
16 activities in the CCUS, carbon capture,  
17 utilization, and storage arena, and a number of  
18 countries that are either already engaged with  
19 DOE or in discussion with DOE on the potential  
20 for significant projects.

21           Some of those countries include Norway,  
22 Canada, China, Japan, the United Kingdom, and

1 Algeria, who already are engaged with DOE in some  
2 ways. And there are discussions, continuing  
3 discussions with the United Arab Emirates, Saudi  
4 Arabia, and about to be with Indonesia, where I'm  
5 going in about a week-and-a-half. So I think  
6 there are some really wonderful opportunities  
7 there.

8           What I see there -- and I don't know how  
9 many of you know this. But when I was at Duke,  
10 one of my missions at Duke was in fact to lay  
11 down a set of international relationships for  
12 technology development. And it made sense in the  
13 private sector; I think it makes sense in the  
14 public sector because in this country we're kind  
15 of built out. We're in a replacement mode, I  
16 think, in the U.S. for the foreseeable future.

17           But in some of the other countries such  
18 as China and even some of the countries in the  
19 Middle East, we're really in a more  
20 groundbreaking green field situation. And  
21 particularly in China, so much energy  
22 infrastructure is being built so quickly, you

1 know, at such scale, really, that there's just  
2 this huge opportunity to learn from observation  
3 how best to scale some of these technologies. So  
4 I think huge opportunities there.

5 So, I'm going to let my allergies die  
6 down and stop speaking for a minute and see if  
7 you have any questions.

8 MS. GELLICI: Thank you.

9 Questions for David?

10 (Pause.)

11 MS. GELLICI: David, on the international  
12 partnership front, what do you see as some of the  
13 major challenges to facilitating more  
14 partnerships? It's something that we've  
15 addressed in our NCC studies about the need that  
16 DOE has been doing wonderful things at this  
17 point. But more is better. Just curious about  
18 what you see as maybe some of the challenges to  
19 overcome at facilitating more of those  
20 partnerships.

21 MR. MOHLER: Well, let me give you two  
22 cuts at it. One is kind of my pre-DOE

1 experience, and then the second is my thoughts  
2 from, you know, a DOE perspective.

3           So, some of the things that I've run into  
4 already in my international work are what I would  
5 call, in essence, cultural differences. But they  
6 move beyond what you would normally think about  
7 as culture. So when we've worked, in particular  
8 with Chinese counterparties, on specific projects  
9 under the U.S.-China Clean Energy Research  
10 Center, for example, what we find is it's very  
11 difficult to understand what is meant by cost to  
12 capital, sometimes. You know, for the Chinese,  
13 what is the cost to capital?

14           There can also be some real differences  
15 in kind of what the boundaries around a project  
16 might be. So, when you're looking at a project  
17 and you're looking at a project cost, are you  
18 talking about -- you know, what are the  
19 boundaries? Are you just talking about a  
20 gasification skid? Are you talking about the  
21 entire plant? Are you talking about the entire  
22 plant and the retrofit to the generation facility

1 attendant to it? What are those boundaries?

2 Sometimes, that can be kind of difficult  
3 to get to. So that's kind of one set of issues  
4 that have already been encountered.

5 Another set of issues, I think, has to do  
6 with intellectual property, and how do you make  
7 sure that intellectual property is protected and  
8 dealt with the right way? So that's kind of my  
9 private-sector experience.

10 When I look at the DOE side and kind of  
11 what I'm already familiar with, one of the  
12 questions that I want to make sure we can very  
13 clearly answer is, as we engage in those  
14 international partnerships, what value do we  
15 bring back for customers and stakeholders here in  
16 the U.S.? And to me, that needs to be very clear  
17 as we engage in those projects.

18 MS. GELLICI: Thank you.

19 MR. BIBB: Bob Bibb.

20 I'll throw you a softball. What is the  
21 status of the loan guarantee program, especially  
22 as it impacts projects in our industry?

1           MR. MOHLER: Well, that's one where I  
2 don't have all the information. So it may have  
3 seemed like a softball, but it's not.

4           (Laughter.)

5           MR. MOHLER: So, Bob, do you have any  
6 information? Can we just capture that, and we'll  
7 get back to you on it?

8           MS. GELLICI: Thank you.

9           MR. ALI: Sy Ali.

10          I'm familiar with your background at  
11 Duke. Is EPA also accompanying you on these  
12 international visits?

13          MR. MOHLER: No. No one from EPA will be  
14 on the trip with me.

15          MR. ALI: It might be a good opportunity  
16 to educate them on this.

17          MR. MOHLER: Interesting thought.

18          (Laughter.)

19          MR. BAJURA: Dick Bajura, WVU.

20          We're looking at a lot of plant closures  
21 in the next couple of years. What role could DOE  
22 play in helping to preserve those sites for

1 future use in power generation?

2 MR. MOHLER: Well, that's a very good  
3 question, too. And it's another one where I  
4 don't have a well-thought-out answer. So I'm not  
5 going to speculate off the top of my head. But I  
6 do appreciate the question, and I will capture it  
7 and get back to you.

8 MR. SLONE: Thank you. Deck Slone with  
9 Arch Coal. I'll ask a big-picture question, and  
10 perhaps you can opine on this a little bit.

11 When you think about what we're doing  
12 globally on the climate front, there's certainly  
13 meaningful expenditure going on in renewables.  
14 But until we have large-scale storage, that can  
15 only take us so far.

16 I think everybody acknowledges that,  
17 until they're dispatchable, you know, that can be  
18 something, but it certainly can't -- you know,  
19 there's a limit, whether that limit is -- I mean,  
20 20 percent would seem like audacious. But maybe  
21 you could get to that, at least another 80  
22 percent.

1           If you think about nuclear, you know,  
2 there was certainly talk of a nuclear  
3 renaissance, but there have been a few cautionary  
4 tales on a cost perspective. And so, I'm not  
5 sure that's taken off. I think investment in  
6 advanced nuclear is fairly limited.

7           We're certainly not doing nearly, I would  
8 argue, what we need to be doing on coal with CCS.  
9 And we're not doing what I would argue we need to  
10 be doing on natural gas with CCS. So, in effect,  
11 we're kind of dabbling around the edges when we  
12 need to get the stabilization by mid-century.

13           And yet, this story of the need for CCS  
14 and advanced nuclear to get us there, there is no  
15 path to stabilization without those. It seems  
16 like it's still viewed in policy circles as kind  
17 of, "Oh, yeah, and then we need to do that." But  
18 it really is the main event.

19           Why haven't we been able to break through  
20 with that message? How do we do that? How do we  
21 engage organizations who continue to be  
22 reluctant?

1           MR. MOHLER: Well, I think that's an  
2 excellent question. I think that a couple of  
3 things come to mind for me. One is I don't think  
4 we've done a great job of really explaining the  
5 line-of-sight-to-value creation from CO2. And I  
6 think there are ways to anticipate creating  
7 significant value with it.

8           So, EOR comes to mind as kind of an early  
9 example, and of course, that's not the entire  
10 answer. But we need to really articulate, you  
11 know, what kind of value we're going to be  
12 creating. And that's something that we're  
13 working on.

14           I think another thing in my mind is we  
15 really have to shepherd through more major  
16 demonstration projects and projects at a scale --  
17 I know from my experience in industry, you know,  
18 in the electric utility industry, the focus  
19 really is, very appropriately, on reliable 24-7-  
20 365 production of electricity in a way that's  
21 safe and affordable. That's the focus. So it's  
22 not on taking a lot of risk.

1           So, the companies that are engaged in  
2 major power generation activities today from coal  
3 are not going to really want to take serial-  
4 number-one of anything, including sequestration.  
5 So somehow, we've got to get those demonstrations  
6 in place so that it's not serial-number-one, so  
7 that it's proven, demonstrated and people can  
8 move forward with confidence.

9           The rest really is an issue of economics,  
10 in my mind. So I think those are the areas where  
11 I think we've got to really dig in and go to  
12 work.

13           MR. WILLIAMS: Bob Williams, Princeton  
14 University.

15           First of all, I would like to  
16 congratulate you on your new position, and I'm  
17 very pleased that our country is able to have you  
18 in this position.

19           Question that I want to raise relates to  
20 one of the major recommendations of the 2012 NCC  
21 report to Energy Secretary Chu, which was that  
22 the NCC recommended that the Secretary and the

1 coal industries work together to find ways to  
2 build, finance, and demonstrate coal to liquids,  
3 plus electricity, and coal biomass to liquids,  
4 plus electricity plants with CCS and captured CO2  
5 used for EOR.

6 As far as I can tell, the DOE did not  
7 respond to that recommendation, and I wonder if  
8 you could say what DOE is thinking about in that  
9 area.

10 MR. MOHLER: Well, Bob, it's good to see  
11 you again, first of all, outside of Princeton.  
12 So that's great.

13 I don't know if there's been any kind of  
14 formal response. I really can't address that.  
15 What I can tell you is I am aware of research in  
16 that area, NETL among other places, that is  
17 ongoing in that arena. And I also know that  
18 there are at least discussions with international  
19 entities who are pursuing that work.

20 MR. PALMER: David, Fred Palmer, Peabody.  
21 We totally agree and actually did a  
22 study, I think what, two years ago, on EOR as a

1 low-hanging fruit and a real opportunity. But  
2 there are other forms of carbon capture  
3 utilization and storage, and some of the more  
4 promising ones haven't panned out. But when  
5 Calera was going to go into the cement business  
6 and ran into unanticipated cost problems.

7 But do you see any promise in the non-EOR  
8 utilization field, CO2 to solids, aggregates,  
9 things like that that you could comment on?

10 MR. MOHLER: You know, it's an area that  
11 I've really been very interested in for awhile.  
12 And you know, one of the reasons, once again, for  
13 my utility background is, if you're in the kind  
14 of position I was in, where you're going to go in  
15 to a CFO and say, "Hey, I need X million dollars  
16 to work on CO2," the response, rightly so,  
17 really, is, "Well, why should I give you that  
18 money? It's only going to increase the cost to  
19 our customers, and there's nothing really in it  
20 for the shareholder."

21 So, at least to address that second  
22 complaint -- there's nothing in it for our

1 shareholder -- you'd like to be able to say,  
2 "Well, here's a line of sight to potential value  
3 creation."

4           So, in the absence of any kind of a price  
5 on carbon, I think that we need to look toward  
6 some forms of utilization as, once again, a  
7 bridge. Some of the work that I'm familiar with,  
8 I think there is some very interesting work going  
9 on in algae, the use of flue gas for algae  
10 production. That's become a longer putt  
11 commercially because of the price of oil falling  
12 as it has. But I think progress continues there.

13           There are a couple of entities out there  
14 that I'm familiar with who are using CO2 for  
15 things like, you know, making different kinds of  
16 chemical derivatives and solids. And I think the  
17 long putt is really finding a way to create those  
18 usable byproducts without totally saturating  
19 markets, frankly, which is easy to do, given the  
20 volumes that we have to deal with.

21           MR. PALMER: Just as a follow-on, you  
22 talked about a, quote, "price on carbon," which

1 people have talked about forever. And usually  
2 it's -- always it's in the context of negatives,  
3 whether a carbon tax, and of course, the Waxman-  
4 Markey effort, which failed. And the CO2 cap  
5 bill, cap and trade bill.

6 We talk about a price on carbon. We talk  
7 about a positive price on carbon. Solar and wind  
8 get a positive price on carbon in the context of  
9 tax credits

10 And in the latest study, the Fossil  
11 Forward study that we just came out with, which  
12 we're very proud of that, we talk about -- the  
13 very first recommendation in there is policy  
14 parity. And policy parity, in our world, means  
15 tax credits, regulatory certainty, and insurance  
16 for deep saline, and then tax credits in other  
17 arenas.

18 And, you know, having been in this  
19 industry for awhile and been engaged in the  
20 arguments over energy taxes and carbon taxes and  
21 things like that and coming from a co-op consumer  
22 background, which has always been anathema to

1 people who care about electric consumers, and of  
2 course, you work for Duke and you were in that  
3 space -- I've never understood, ever why it is we  
4 demonize this technology because it's related to  
5 coal and CO2 and exalt this because it's a  
6 windmill or a solar panel, when the goal is  
7 supposed to be low-cost, available, affordable  
8 electricity on a sustainable basis.

9           We have embraced in our 2009 study  
10 President Obama's greenhouse gas goal of an 80  
11 percent reduction by 2050. We did that. But you  
12 need to put positive signals. You can't demonize  
13 something and expect people to put money in it,  
14 which was Waxman-Markey and which is a carbon  
15 tax.

16           So, you know, one of our ambitions is to  
17 change the dialog to a positive price on carbon  
18 and to encourage an industry which could be a  
19 fabulous industry. But absent that kind of an  
20 approach, we're not going to have that industry,  
21 ever. And you know, politically, it's tough.  
22 It's tough right now with the Democratic Party

1 because of the total focus on renewables, and  
2 it's tough with the Republican Party because of  
3 the total focus on tax reform and budget issues  
4 and things like that.

5 But hope springs eternal. And if no  
6 other thing can be accomplished this morning,  
7 it's to emphasize to DOE how strongly we feel  
8 about the need for policy parity and a positive  
9 price on carbon to get this industry going.

10 MR. MOHLER: Well, message received. And  
11 I do think that that is just a really -- that  
12 merits a whole lot more thought and consideration  
13 than perhaps it's received so far.

14 But just to qualify what I said earlier,  
15 what I was feeding back to you was the kind of  
16 challenge I got from my CFO, not my personal  
17 belief.

18 (Laughter.)

19 MR. MOHLER: Just so you know that.

20 (Inaudible interjection and laughter.)

21 MR. NEMETH: David, Ken Nemeth, with  
22 Southern States Energy Board.

1           This summer, EPA will conclude its  
2 regulatory work on new and existing power plants.  
3 And as you well recognize, that's caused quite a  
4 bit of havoc in the states. You know, we have  
5 the Senate Majority Leader saying, "Don't do  
6 anything until the rule comes out." We have  
7 state regulators that are very concerned about  
8 where that's going to go and what they should do  
9 in preparation for the rule.

10           And we even have some states that have  
11 just passed legislation that say, once a state  
12 plan is developed, the governor and the Speaker  
13 of the House and the Senate president must all  
14 approve before this plan can go forward.

15           What can DOE do to help the states at a  
16 time when they're looking at an environmental  
17 problem on an energy issue? And I ask this  
18 question because, having engaged the EPA  
19 administrator on this several times, her point  
20 has always been, "You are the energy guys. We're  
21 the environmental guys. You worry about what  
22 happens on energy."

1           And so, I just wanted to know how engaged  
2 you are on this and if there are plans within DOE  
3 to help the states once we know what the  
4 parameters of this are going to be.

5           MR. MOHLER: Yeah. Well, at DOE,  
6 actually, and in fossil energy, we do have what I  
7 would call an action plan to continue engagement  
8 with the states. And clearly, your organization  
9 is a part of that.

10           In terms of interface with the EPA, you  
11 know, I've been busy trying to understand what's  
12 going on in my own shop as opposed to what's  
13 going on in somebody else's shop. But I would be  
14 perfectly willing and eager to entertain more  
15 conversation about that, going forward.

16           MS. GELLICI: We'll take one more  
17 question.

18           MR. BIBB: Bob Bibb. I'll try again.

19           We're starting to build some number of  
20 really large LNG export terminals. And do you  
21 think, from a strategic point of view at the  
22 department, there's concern of us gradually

1 transitioning towards a world market sort of  
2 clearing price for gas, and we'll see significant  
3 increase in gas costs in the U.S. and lower costs  
4 worldwide where there's not indigenous gas?

5 MR. MOHLER: You know, I can't articulate  
6 a DOE position on that. What I could tell you  
7 personally is I see that as not a near-term  
8 problem. It seems to me like that is into the  
9 future. So, could it happen? I suppose. Is it  
10 a necessary outcome? Not clear to me. So,  
11 sorry. If that was another softball, I still  
12 couldn't hit it.

13 (Laughter.)

14 MR. MOHLER: Bob.

15 MR. WRIGHT: Bob Wright, from the  
16 Department of Energy.

17 For each terminal that comes in, usually  
18 it's a change. There is a study done by DOE, not  
19 our particular office, that looks at the impact  
20 on the country. Each time a new application  
21 comes in, the study has come back addressing that  
22 question.

1           And the answer they're giving is that  
2 they don't see an impact immediately or far into  
3 the future, that there's going to be enough  
4 supply to keep the price not necessarily at two  
5 dollars, but maybe five or six dollars, not the  
6 twelve or fifteen that happened at one time.

7           MS. GELLICI: Thank you, Bob.

8           David, thank you so much. It's very  
9 gracious of you to join us so early in your  
10 tenure. We look forward to working with you in  
11 the future, going forward. Thank you.

12          MR. MOHLER: Thank you.

13          (Applause.)

14          MR. WALLACE: Thank you, David.

15          Now we'll turn over the program to Vice  
16 Chair Mike Durham, who will introduce our next  
17 keynote speaker. Mike.

18          MR. DURHAM: Thank you, Jeff. I  
19 appreciate the opportunity to be here this  
20 morning and introduce our next speaker, Mike  
21 Marsh, who is the acting President and CEO of  
22 SaskPower.

1           Mr. Marsh was previously Vice President  
2 and COO since October 2012. In this position, he  
3 had responsibility for all operational issues,  
4 for power productions, transmission, and  
5 distribution services.

6           He has over 35 years of experience and  
7 joined SaskPower in 1991, where he spent nine  
8 years in engineering and maintenance supervisory  
9 positions at the Boundary Dam Power Station  
10 before serving as the manager of business and  
11 financial planning in Corporate and Financial  
12 Services for six years.

13           He attended the University of  
14 Saskatchewan, where he earned a bachelor of  
15 science degree in mechanical engineering and  
16 later studied at Queen's School of Business and  
17 earned an MBA.

18           So, please join me in welcoming Mike  
19 Marsh.

20           (Applause.)

21           MR. MARSH: Good morning, everybody. I'm  
22 very happy to be here. And just like Mr. Mohler,

1 I have allergies as well, and I've been in this  
2 lovely city for the last three-four days, and  
3 it's really starting to hit me now. So, please  
4 bear with me as we go through this today.

5 I'm here today to tell a story about what  
6 we've done in the Province of Saskatchewan and  
7 Canada, and we're going to tell a good story  
8 about how we've been able to convert a coal-fired  
9 power station at a production scale and extract  
10 the CO2 out of the exhaust gas and actually do  
11 something with it.

12 We're very proud of this facility, and  
13 it's really been a journey over the last probably  
14 15 years since we began to contemplate what the  
15 art of the possible was and bring it to reality.  
16 So with that, we'll see if the technology works  
17 here.

18 (A video presentation was given.)

19 MR. MARSH: So, that's a great little  
20 intro-video that our communications department  
21 put together just before we opened our facility  
22 last fall.

1           The person who actually has spearheaded  
2 this program since 2008 is Mike Monea. Now, Mike  
3 Monea and I have the same initials. He's a  
4 little bit taller than I am, and he's certainly  
5 attended a lot of conferences, and many of you  
6 have probably met Mike over the last few years.

7           Mike has really -- you know, he has a  
8 passion for this project, and he has really  
9 brought it home. And he's carried the message  
10 about our Boundary Dam 3 project around the  
11 world.

12           But for those who are not familiar with  
13 Saskatchewan or SaskPower, just a little bit of  
14 background. We're the province that sits right  
15 over North Dakota and Montana. Montana is just  
16 under the southwest corner, and North Dakota is  
17 under the southeast corner.

18           Our province is the size, roughly, of  
19 Texas, just so you know. But we only have a  
20 little over 1 million people in the province. So  
21 we have more -- we like to say we have more power  
22 poles than people in our province.

1 (Laughter.)

2 MR. MARSH: And most of the population is  
3 in the lower half of the province. We tend to  
4 think of the prairie provinces as big grain  
5 producers. Half the province is really  
6 agriculture and potash mining in the south and  
7 the north. It's forest and rock, and hard-rock  
8 mining, uranium, gold, and forestry products in  
9 the north.

10 We're a little over 4,000 megawatts of  
11 total installed capacity. We say 151,000  
12 kilometers of transmission line; I'm going to  
13 have to talk to my communication people. That's  
14 really 14,000 of high-voltage transmission line  
15 and about 135,000 of distribution line, so 25,000  
16 volts and below.

17 We have about a half-million customers in  
18 the province. And we're experiencing probably  
19 something different than a lot of states and a  
20 lot of provinces are experiencing right now. We  
21 are in a significant growth period. We have had  
22 year-over-year growth, two years ago a 6.4

1 percent and last year a little over 3 percent.  
2 So we've had about 10 percent growth in energy  
3 consumption over the last two years.

4 Now, our supply mix is diversified. And  
5 as Mr. Mohler said, we have a portfolio of  
6 generation options available to us. We're not  
7 blessed with abundant hydro facilities like our  
8 neighbors in British Columbia or further east in  
9 Ontario and Quebec. And in the past, our  
10 percentage of coal generation was over 60  
11 percent.

12 But as time goes on and we add more gas  
13 generation and more renewables and the load  
14 continues to grow, our percentage of coal is  
15 actually coming down. It's now about 44 percent.  
16 Gas is about 29 percent, hydro 20, wind about 3  
17 percent right now, and other would be imports and  
18 small generators provide about 4 percent of our  
19 energy.

20 Now, we have -- one of the topics in Mr.  
21 Mohler's speech this morning was about  
22 renewables, and a couple of questions about

1 renewables. We have about 25 percent renewables.  
2 So if you include hydro and wind, our percentage  
3 right now is about 25 percent. We continue to  
4 add more additional wind to our fleet. We're  
5 putting in another almost 200 megawatts of wind  
6 right now. And we'll be putting out more  
7 requests for additional wind over the next few  
8 years.

9           So, what we have here is just a picture  
10 of a dragline in operation. We have a mine mouth  
11 operation for our coal facilities, which makes it  
12 very handy.

13           We have three coal-fired stations in the  
14 province. The Boundary Dam station currently  
15 about 650 megawatts; our Poplar River station,  
16 about 600 megawatts; and just a little to the  
17 east of the Boundary Dam station is our Shand  
18 power station, which was the most environmentally  
19 advanced station of its time when it went into  
20 production in 1992.

21           Now, for those who are interested in the  
22 coal aspects of our facility, coal mining in

1 Saskatchewan, probably just like Montana and  
2 North Dakota, dates back to 1857. It was one of  
3 the earliest commodities to be mined in the  
4 province. The coal we burn is Western Canadian  
5 Lignite, which has a very low heating value and a  
6 low percentage of sulfur.

7 Our coal comes from a different number of  
8 seams that vary, but typically, there's 40 to 50  
9 feet of overburden, which gets pulled off. And  
10 the coal seams are anywhere from three feet to  
11 fifteen feet in depth.

12 Now, our heating value, just so you know,  
13 varies between about 5,400 to 6,200 BTU's per  
14 pound. So it's very, very low. It requires us  
15 to build big boilers in order to convert that  
16 coal energy into heat energy and then into  
17 electrical energy. The moisture content of our  
18 coal is 34 to 38 percent; ash content, 12 to 14  
19 percent; sulfur, between 0.5 and 1 percent,  
20 depending on the seam that we're mining.

21 Now, the coal for our three power  
22 stations currently is mined by Westmoreland Coal,

1 which operates throughout Canada and the U.S.  
2 There's a picture of our 75-cubic-meter bucket,  
3 for those that haven't been up close and personal  
4 to a dragline before.

5           Now, with respect to the regulations that  
6 we currently have to work in in Canada, we  
7 started the construction on the carbon capture  
8 facility prior to federal regulations coming into  
9 effect. So we began construction in May of 2011.  
10 And on September 5th, 2012, the Canadian Federal  
11 Greenhouse Gas Regulations on Coal-Fired Plants  
12 became a reality.

13           These regulations are actually coming  
14 into effect this year on July 1st, 2015. And  
15 essentially, the regulation requires new and  
16 existing facilities to operate as clean as  
17 natural gas facilities. The regulation is 420  
18 tons of CO2 per gigawatt hour.

19           Boundary Dam's unit 3 was 1,100 tons, but  
20 today, with 90 percent capture with our carbon-  
21 capture facility, will operate at full capacity  
22 and emit only 140 tons of CO2 -- essentially

1 three times cleaner than a natural gas facility.

2           It's a little snapshot of the regulations  
3 in both Canada and the U.S. -- 420 in Canada for  
4 modified and refurbished coal units, which is  
5 what we did. We refurbished an existing nominal  
6 150-megawatt generator. And it was nearing the  
7 end of life, and we had to make that decision.

8           For new coal or natural gas units, the  
9 target is still the same in Canada, slightly  
10 lower in the U.S. And I'm sure many of you are  
11 familiar with these targets.

12           Now, I said before that we have a mixed  
13 portfolio in Saskatchewan. We have coal, we have  
14 gas. The base load at cost for natural gas is  
15 represented on the slide here, capital investment  
16 being fairly small, but the fuel cost and the  
17 fuel risk over the long term is something that  
18 most utilities are certainly concerned about.

19           Retrofitting the Boundary Dam 3 with a  
20 carbon-capture facility attached to it provides  
21 what I think everybody in this room is looking  
22 for -- long-term, stable price for the coal, for

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 the fuel, much higher capital cost in the  
2 beginning. But over the life of that plant, we  
3 see a very good economic case being made.

4 We also have another very valuable  
5 benefit in Saskatchewan. In the part of the  
6 province where Boundary is situated, there's also  
7 oil and gas reserves. And we are able to use  
8 that CO2 and make it commercially available to an  
9 oil and gas company.

10 So, Boundary Dam -- the name is a bit of  
11 a misnomer. When you say "Boundary Dam," people  
12 think, "Oh, there's a hydro facility down there."  
13 But the name "Boundary" actually comes from the  
14 U.S.-Canada border, the boundary. And the dam is  
15 the reservoir that you see behind. There's just  
16 to the left of the screen, there's a dam that  
17 holds back the water in that reservoir for  
18 cooling water for that power station. And it's  
19 called Boundary, Boundary Dam.

20 I worked there for many years. I know  
21 the place intimately. All hours of the day and  
22 night when you're working in a power station and

1 in a utility makes you very familiar.

2           Units -- it was originally a six-unit  
3 station. We retired two of the units. Unit 1  
4 and unit 2 were retired in 2013 and 2014. They  
5 were 62-megawatt units apiece, built in 1958.  
6 And they were on the very left-hand side of the  
7 screen where the roof is a little bit lower  
8 there. And then units 3, 4, 5, and 6 are the  
9 four stacks that you see there.

10           Units 3, 4, and 5 are each 150-megawatt  
11 units. And unit 6 on the right-hand side is a  
12 300-megawatt boiler and generator set.

13           Now, what you see at the right, to the  
14 right of the power station, is the carbon-capture  
15 facility. And you can see -- let me try to use  
16 this -- right here, you'll see this is ductwork  
17 that's coming from the back of the power station.  
18 Where the exhaust gas was going up the stack, we  
19 installed a set of big dampers.

20           This ductwork right here, you can  
21 imagine, is probably 16 feet high and about 12  
22 feet wide, pulls that exhaust gas from the back

1 of this unit over here all the way around to the  
2 back of the power station and over into the  
3 carbon-capture facility.

4 Now, for constructing this facility, we  
5 used over 60 companies. Our prime engineering  
6 contractor was SNC-Lavalin. We had about 1,700  
7 workers onsite at the max, and we clocked about 5  
8 million man-hours on the construction of this  
9 facility, with no loss-time injuries. So, we're  
10 very, very proud of that.

11 And we launched this facility in October  
12 of last year. And we had over 20 countries  
13 represented at the opening ceremony.

14 Now, here's a snapshot of what Boundary  
15 Dam looked like prior to carbon capture and post  
16 carbon capture. Megawatts, this is net megawatts  
17 here, 139. It was a nominal 150 megawatts gross,  
18 so you take station service off and you're down  
19 to 139. Post carbon capture, we retrofitted the  
20 boiler and the turbine. When we're not  
21 extracting CO2 out of the exhaust, we can now  
22 generate 160 megawatts gross. So that would work

1 out to about 149-150 net without, if we weren't  
2 using the CCS facility.

3 And with the SO2 extraction and the  
4 carbon dioxide extraction, the parasitic load  
5 actually takes the net down to about 120.

6 Carbon dioxide -- a million tons here.  
7 We put the K in there. I wish they would have  
8 put something different. Post carbon capture,  
9 112, reducing the output of carbon dioxide by 90  
10 percent.

11 Sulfur dioxide has been reduced to  
12 essentially zero. Through the process, we  
13 extract all the sulfur dioxides. We put it  
14 through a sulfuric acid plant and manufacture  
15 sulfuric acid, which we have contracts now for  
16 and are selling.

17 Nitrous oxides, again, cutting by more  
18 than half. And this is particulate matter here.  
19 PM's, this is 10 micron size, 2.5 micron size.  
20 So you can see that we've certainly reduced all  
21 the harmful stuff, as well as the particulate  
22 matter coming out of that stack by a significant

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 amount.

2           So, 150,000 tons have been captured since  
3 October. This was as of about two weeks ago.  
4 Minimum of 80 percent of CO2 captured, so  
5 accounting for the performance of the plant up to  
6 this point in time, the operating hours, and  
7 ramping up the facility in the first few weeks of  
8 operation, we are still working towards the 90  
9 percent captured at full efficiency. But we are  
10 achieving the 80 percent target today.

11           One hundred and twenty megawatts net to  
12 the grid. When we designed this facility, we  
13 based it on a net output of 110 megawatt hours.  
14 That's what our economic calculations were based  
15 on. We're getting less parasitic load than what  
16 we originally had estimated, which is a very,  
17 very good thing. It's going to help make the  
18 economics much more positive as we look to the  
19 next decision.

20           And the quality of the CO2 that we're  
21 producing, using the technology that we've  
22 installed at this carbon-capture facility, which

1 is an amine technology, so it's a post-combustion  
2 amine technology, very familiar to the oil and  
3 gas industry. We're producing actually 99  
4 percent pure CO2, very close to food grade.

5           We're looking at actually now installing  
6 a slipstream process and taking out whatever is  
7 left there in order to make it food-grade  
8 quality. And then we would sell that product at  
9 a premium price and earn a little more revenue  
10 than we're earning today.

11           So, to do the math, a million tons a year  
12 -- that's like taking all the cars off the road  
13 in Regina. And there's about -- our population  
14 of our city, which is the capital city of the  
15 province, is about 220,000. We estimate, as Mr.  
16 Mohler said earlier, 10 million tons is about 2  
17 million cars. We saved 250,000 automobiles off  
18 the road.

19           Capturing all the CO2 from the heating  
20 and cooling of every home, we use natural gas in  
21 the wintertime. And we need air conditioning in  
22 the summer. It doesn't snow up there all year-

1 round, just so you know.

2 (Laughter.)

3 MR. MARSH: We experience 100 degrees in  
4 the summertime and minus-40 in the wintertime.  
5 So we have high extremes in the province. And  
6 also, keeping the lights on in half the city, so  
7 it's a phenomenal achievement. And I think it  
8 demonstrates what is possible when a facility  
9 like this is actually installed in an operating  
10 electrical system. And the benefits accrue to  
11 everybody.

12 Now, the big question people want to know  
13 is about, okay, how much did this cost? And how  
14 much is it continuing to cost? At this point in  
15 time, I can say that we are achieving better-  
16 than-expected operation out of the plant. But  
17 we're still in the first six months of operation.  
18 We haven't quite reached full capacity yet, as we  
19 work out -- you know, just like any other power  
20 station that goes in, it takes several months to  
21 work out a lot of the issues. And we continue to  
22 work on that. And we expect to be in full

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 capacity by about June this year.

2 But based on the price of natural gas in  
3 Canada at the time, and these figures are from  
4 '09 to '10, so this is about the time we were  
5 putting together our business case for this one,  
6 the price of traditional coal-fired generation in  
7 \$55 to \$60 megawatt hour coal with carbon capture  
8 was priced in between the 90 and just under 110  
9 at the time.

10 Natural gas, of course, wide range there.  
11 That goes from simple cycle to combined-cycle  
12 gas, from 50 up to about 80.

13 Nuclear, which we don't have any in our  
14 province, but there's a few facilities in Canada,  
15 and of course, biomass and wind having the  
16 highest cost per installed megawatt at the time.

17 The argument for coal with carbon capture  
18 in our system, in the Province of Saskatchewan,  
19 really was helped by the location of that  
20 facility, as I said earlier, in the southeast  
21 corner of the province where we have large oil  
22 and gas reserves. And we're able to, with the

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 additional revenue, we're able to pull that  
2 number even lower, using the revenue from the CO2  
3 to help offset the installed cost of that  
4 facility.

5 Now, because of the nature of the  
6 contract we have with Cenovus, who is the off-  
7 taker of CO2, and they're buying all 1 million  
8 tons a year from us, you know, I can't divulge  
9 the exact figure.

10 But we're just going to paint this  
11 picture that helps illustrate that with the  
12 proper utilization of carbon capture technology,  
13 the proximity of oil and gas reserves, and our  
14 ability to enter into a contract to sell that  
15 CO2, we now have an economic case that we were  
16 able to take to our board of directors and we  
17 were able to get this project approved.

18 And with the performance that we're  
19 seeing now, which is better than we've expected,  
20 you know, it will help us as we look towards the  
21 next decision point that we have to make on units  
22 4 and 5. So again, two more 150-megawatt units

1 slated for retirement in 2019.

2           We want to have a full year of operation  
3 at full load performance design criteria in order  
4 to really prove out the economics of this plant  
5 and to be able to build a proper economic case.  
6 We expect to have that decision at the end of  
7 2016, beginning of 2017, and make that decision  
8 on whether we are going to go ahead with  
9 retrofitting two more units in our fleet.

10           So, we've got a few slides on the actual  
11 carbon-capture facility, brand-new facility. For  
12 those of you that have been in a coal-fired power  
13 station, things don't usually look this clean.  
14 There's usually kind of a gray-black smudge over  
15 everything. But this facility is brand new.

16           The structures that you see on the left,  
17 there are the SO2 and the CO2 absorber towers.  
18 And I'll get into that shortly. And coming out  
19 of the top part of the stack here, that's clean  
20 exhaust coming out of there. So, 90 percent of  
21 the CO2 has been scrubbed out of the exhaust  
22 stream right here.

1           On this part of the facility, that's the  
2 CO2 stripper. So, the amine captures the carbon  
3 dioxide in the process. We put it through the  
4 plant, which is essentially a chemical plant, not  
5 a utility plant; it's a chemical plant. We strip  
6 out the carbon dioxide in the CO2 stripper and  
7 recycle the amines in the process.

8           So, the process has been working, been  
9 working well, and the consumption of amines is  
10 very low right now, which is promising, as well,  
11 because you don't want to have to start  
12 replenishing amines in this process because that  
13 will, again, tip the balance on the cost of the  
14 plant.

15           Now, just to the right of the plant, just  
16 off the screen here is the compressor building.  
17 So where we take the CO2 out of the exhaust gas,  
18 we then compress it to just about 1,800 PSI and  
19 put it in the pipeline and ship it to Cenovus.  
20 And they take it about eight kilometers from this  
21 facility. That's their takeoff point. And it  
22 goes into their pipeline system.

1           Now, this project has cost, to date, a  
2 little under \$1.5 billion. This is a production-  
3 scale facility. The initial estimate on this  
4 particular project was about \$1.24 billion. We  
5 received 240 million from the Federal Government  
6 of Canada, which contributed to this project.  
7 And that occurred, you know, from 2011 up until  
8 last year.

9           We do know, based on our experience and  
10 some of the issues we had that developed during  
11 the construction of this facility, we do firmly  
12 believe that we could build another facility like  
13 this for 20 -- some of my engineers are saying  
14 maybe up to 30 -- percent less than we currently  
15 experienced here, which is very, very promising.

16           So, together with the good operating  
17 performance and the ability to construct this  
18 facility at a lower capital cost will help make  
19 the economics look even brighter.

20           So, this is a picture of the carbon  
21 dioxide and sulfur dioxide absorbers. Just a  
22 couple of little facts -- the CO2 absorber is 14

1 stories high. The smaller tower is the CO2 -- or  
2 pardon me, the SO2 absorber, right here. This is  
3 the CO2 absorber, 14 stories high.

4 They were built, they were constructed of  
5 brick, so they went up kind of one foot at a time  
6 when they were being built. To eliminate  
7 degradation of the walls on the inside, over  
8 70,000 ceramic tiles were used to make up the  
9 interior. Industrial ceramic tile is known for  
10 its durability and chemical resiliency. And the  
11 absorber can withstand temperatures of up to  
12 1,000 degrees Fahrenheit.

13 Now, this is the CO2 stripper, which is  
14 the larger of the two vessels. And you're only  
15 seeing the part that's actually sticking out of  
16 the roof here. It actually goes another 100 feet  
17 down into the building. The SO2 stripper is  
18 found within the facility itself, so you can't  
19 see it here.

20 And the reason the CO2 stripper is much  
21 larger is because there are several times the  
22 amount of amine is used in the carbon dioxide

1 stripping process than the SO2 stripping and  
2 slightly different amine solutions.

3           Large vessels also add additional heat to  
4 the amine solution, and this stripper separates  
5 the carbon dioxide gas from the amine solvent to  
6 be recycled back to the system. This vessel was  
7 fabricated in Alberta, Canada, and this was the  
8 largest piece of equipment hauled on highways in  
9 our province to date.

10           And just to note, as I said earlier,  
11 amine technology has been used in the oil and gas  
12 industry and the LNG industry for over 50 years.  
13 But we chose the technology when we designed and  
14 built this facility.

15           This picture is actually of the SO2  
16 stripper found inside the carbon-capture  
17 facility. This particular shot is taken on about  
18 the third floor. So, you have two workers here.  
19 There's one fellow in behind here, another fellow  
20 here. The SO2 stripper follows the same process  
21 to remove SO2 as the previous CO2 stripper that  
22 was shown, but using far less of a completely

1 different amine solvent solution.

2           Now, the amine technology was provided by  
3 Cansolv. They own the technology, the amine  
4 technology. And as I said earlier, SNC-Lavalin  
5 was the prime EPC contractor on this site. One  
6 hundred percent of our produced sulfur dioxide is  
7 captured using this process.

8           Now, this is the sulfuric acid plants.  
9 It's the first of its kind to have been  
10 integrated into any form of chemical carbon  
11 capture and storage facility. It's especially  
12 unique because it's vertically built, so it's  
13 higher than it is wide. And they stack the  
14 components vertically to save space.

15           The job of the acid plant is to  
16 facilitate the chemical process that transforms  
17 captured SO<sub>2</sub> into commercial-grade sulfuric acid,  
18 which we then sell. Our sulfuric acid is 96  
19 percent pure, and we produce about 1.5 semi-loads  
20 a day of sulfuric acid. So, sulfuric acid, just  
21 so you know, is used for fertilizer, agricultural  
22 pesticides, and other industrial uses and other

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 chemical processes.

2           And after compression, this is the  
3 pipeline that is just before it exits the plant  
4 and hits the pipeline to go to the off-taker. We  
5 use -- now, you can't see it in this particular  
6 photograph. But there's a dehydrator and an  
7 eight-stage compressor. The compressor is a  
8 German-built multi-stage compressor, 18,000  
9 horsepower. The CO2 compressor first eliminates  
10 moisture, then compresses the carbon dioxide to  
11 transform it into a very dense state. And as I  
12 said, it goes to the pipeline to Cenovus Energy.  
13 They use it for enhanced oil recovery.

14           Now, in addition to the off-taker Cenovus  
15 taking, right now, 100 percent of the CO2 that's  
16 produced, we also have a deep underground storage  
17 facility, which we call Aquistore. It's a saline  
18 reservoir that's about 10,000 feet underground,  
19 so a little over 3,000 meters.

20           That facility right now is just being  
21 charged, so they are starting to charge that  
22 Aquistore facility. And they're beginning the

1 process to inject carbon dioxide into that saline  
2 reservoir 10,000 feet underground. It's the  
3 deepest well in the province.

4 A lot of interest on the part of the  
5 academic community for the geology of underground  
6 carbon dioxide storage. The University of  
7 Regina, the petroleum technology research center  
8 that we have in Regina, are doing the  
9 measurements and monitoring and verification of  
10 the process itself.

11 And over the next few years, we hope to  
12 be able to have a lot of data that would be very  
13 much of interest, I think, to the academic  
14 community.

15 So, securing off-takers for the products  
16 out of this facility certainly helped to make the  
17 business case of the sale of carbon dioxide for  
18 enhanced oil recovery, sale of sulfuric acid out  
19 of that plant. And there's about 600,000 pounds  
20 a year being produced of sulfuric acid, and of  
21 course, fly ash. We do have precipitates that take a  
22 lot of the heavy particulate out of the exhaust

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 before it goes into the amine process. And we  
2 sell that fly ash product as well.

3 Now, the storage, as I was just  
4 mentioning earlier, pure CO2 storage goes to a  
5 deep well that we call Aquistore. Ten thousand  
6 feet down is the saline aquifer down here, so  
7 it's going to be injected down here.

8 Through this entire layer, there are  
9 several different geologic formations which  
10 provide hard-cap. So there's many different  
11 aquifers as you go down, but the deep one is down  
12 here where the CO2 is going to be injected. So  
13 many, many different layers.

14 And I'm not a geologist, so I won't be  
15 able to answer any of those kind of questions if  
16 there are. But we're very optimistic that we're  
17 going to have a very good solution here. In the  
18 event that we can't sell the CO2, for whatever  
19 reason, the off-taker might not need it, we can  
20 then inject that into the saline reservoir. But  
21 the predominant use of that carbon dioxide is  
22 going to be for enhanced oil recovery.

1           So, with the Boundary Dam facility, add  
2 one power station, and just about 10 kilometers  
3 away, we have another power station, the 300-  
4 megawatt Shand facility. We've also constructed  
5 a carbon-capture test facility. It's the first-  
6 of-its-kind facility, and it will allow  
7 international partners to try out new  
8 technologies and methods in carbon capture.

9           We currently have a partnership with  
10 Hitachi Power Systems, for when the facility  
11 opens this June. We also have a brand-new world-  
12 leading amine chemical lab that we're going to be  
13 using to test the effectiveness of new amine-  
14 based solvents and other chemical processes. So  
15 we're developing labs to really perfect the  
16 technology and the processes around carbon  
17 capture from coal-fired stations.

18           In addition to that, we've formulated a  
19 global consortium to share our knowledge with  
20 private sector, government institutions,  
21 universities, and nonprofit organizations who  
22 want to learn more about our expertise in carbon

1 capture and storage. Now, this consortium will  
2 share information we've uncovered in the way of  
3 significant cost reductions, training.

4           Some of the learnings that we have  
5 through the construction and commissioning  
6 process, and certainly as we gather information  
7 on the performance of this plant, that  
8 information will become available as well.

9           We also provide tours. If you're ever  
10 able to get up to Saskatchewan, we're only a  
11 couple of hours north of the U.S. border. The  
12 plant itself is only about 20 miles north of the  
13 U.S. border, so it's not that far. We've had  
14 representatives from 30 companies and probably  
15 well over 1,000 people have toured this facility  
16 over the last year.

17           We welcome anyone who wants to come and  
18 visit this facility. We will provide a guided  
19 tour for people, delegates from this conference.  
20 I extend that invitation to come to Saskatchewan  
21 and see this facility firsthand.

22           And if you can't make it to Estevan, we

1 have another way for you to tour this facility.  
2 You can do it online. Go to the website  
3 saskpowerccs.com-slash-tour for a virtual tour of  
4 Boundary Dam, which provides a little more  
5 information on our process and viewing of the  
6 critical components that make up this project.

7           So, just a little piece of trivia. I was  
8 introduced as the acting president. I was just  
9 formally appointed as president last week. So  
10 I'm new to this role on a permanent position, as  
11 well. So I just corrected the slide here for you  
12 today.

13           With this project being the first of its  
14 kind in the world, we're definitely going to be  
15 learning a lot and we're going to be answering a  
16 lot of questions as we go. This is a world's  
17 first, and we're very proud of it. As global  
18 power production increases, and countries like  
19 China and Germany look to continue developing  
20 coal power, they are looking to us to see how  
21 they can do it in a more environmentally  
22 sustainable way.

1           So with the knowledge-sharing consortium,  
2 where we're inviting world governments and  
3 companies to learn from our experience so that  
4 carbon capture and storage deployment can move  
5 forward.

6           It's just one of the answers to climate  
7 change. It's not going to be the only one. We  
8 call it another tool in the toolbox. With our  
9 portfolio of generation, we're going to continue  
10 to add more wind. We're looking at biomass  
11 projects. To the extent we can add additional  
12 hydro into our fleet, we will do that as well.

13           So, this provides that tool that allows  
14 countries like Canada and the U.S. to provide  
15 energy from a source that we have on the ground  
16 that we know the cost of. It's a very stable  
17 fuel, and the process to convert that to  
18 electricity has been known for a long, long time.

19           We're very proud of what we've been able  
20 to achieve at Boundary, and we certainly look  
21 forward to the opportunity to share our success  
22 with you. And with that, I'll end my

1 presentation, and I'll take any questions you  
2 might have. Thank you.

3 (Applause.)

4 MS. GELLICI: Thank you.

5 MR. WRIGHT: Bob Wright, U.S. Department  
6 of Energy.

7 Again, congratulations on a showcase  
8 project. Many meetings that I'm at people talk  
9 about Boundary Dam worldwide. And I'm pleased  
10 that you're willing to accept visitors and  
11 tourists. I know in the United States, Southern  
12 Company has been very gracious in letting people  
13 go to see the Kemper project. So be prepared for  
14 all those people who want to come.

15 I do have a question on all this, which  
16 is, you thought your net power was going to be  
17 110 MW<sub>e</sub>, but it turned out to be 120 MW<sub>e</sub>. Could  
18 you comment more on where that 10 extra megawatts  
19 came from?

20 MR. MARSH: There wasn't any one single  
21 place. I think in the design process, because  
22 this was a first-of-its-kind facility, I think

1 the conservative estimates of our engineering  
2 team, through all the processes, all the amine  
3 loops, and all the pumps that are used inside  
4 this facility, we didn't exactly know. So I  
5 think we took a very cautious and conservative  
6 approach.

7           And, you know, we built the business case  
8 based on the 110 MW<sub>e</sub>. So, just as we got this  
9 plant up and running, we found that we were just  
10 consuming less energy in every part of the  
11 process.

12           The compression plant, you know, the  
13 biggest single user of electricity, with that  
14 18,000 horsepower compressor, came in pretty  
15 close to design. So it wasn't that facility at  
16 all. It was just an accumulation of everything  
17 that was happening in that power station.

18           MR. SLONE: Yeah, Mike. Deck Slone with  
19 Arch Coal.

20           You're probably getting tired of being  
21 congratulated, but congratulations. Really, I've  
22 seen this, I guess, three times since the grand

1 opening. And I'm amazed anew each time. And you  
2 guys do a brilliant job of telling the story, and  
3 kudos for getting out there and telling the  
4 story.

5 I guess I would ask this. You know, as  
6 you think about Boundary Dam 4 and 5 and the  
7 potential there and you think about what the  
8 reaction is going to be, is there an evolution in  
9 the way the environmental community -- and I know  
10 that's not monolithic, but environmental groups  
11 are reacting and thinking about this? I mean,  
12 this is a world-changing event. You know, is  
13 there growing recognition of that fact?

14 And I guess I would even go beyond that  
15 and say, would it be difficult today, given that,  
16 you know, you're getting performance on CO2  
17 that's three times better than natural gas --  
18 would it be difficult in Saskatchewan to build an  
19 uncontrolled natural gas plant? Are there those  
20 who say, "No, no. We want this"? So is there  
21 anything on that front that you'd like to comment  
22 on?

1           And I guess, finally, I'd ask the  
2 question, you know, great stuff on the  
3 consortium. Is there something that SaskPower  
4 can do with all this learning? Because  
5 obviously, you guys are getting really good and  
6 really smart at this. So, is there a way you're  
7 thinking about sort of using this from a business  
8 perspective?

9           MR. MARSH: Okay. Well, first of all,  
10 you know, with respect to environmental groups  
11 that are looking at this project and, you know,  
12 challenging why we're not taking the money and  
13 putting it into wind, for example, and trying to  
14 develop more wind and renewables, I think this is  
15 a journey. I think we've only just begun.

16           And as we prove out the operation of  
17 these types of facilities on a production scale,  
18 we're going to be able to actually have some  
19 concrete evidence to say, "Yes, this can be done,  
20 and this can be done in a clean way." Up to now,  
21 it's been really just textbook. It's been  
22 theory.

1           We have to be able to operate this plant.  
2 We have to be able to demonstrate that we can do  
3 it economically. We have to be able to do it in  
4 a way that doesn't affect the rates to our  
5 customers, as well.

6           Remember, we're a utility, a Crown-owned  
7 utility in the Province of Saskatchewan. Any  
8 huge capital burden, of course, has the knock-on  
9 effect in future years to depreciation and  
10 finance costs. And that's not insignificant.

11          So, we have to balance our investment  
12 decisions just like Duke Energy and every other  
13 utility as we go forward. And we have to prove  
14 the technology so that we can answer those  
15 questions from the community that may be  
16 challenging, carbon capture as still being a  
17 dirty energy source. We view it as certainly a  
18 clean one.

19          We have the unique ability, I think, in  
20 the province to be able to use our captured CO2  
21 in enhanced oil recovery. And that is probably  
22 the single biggest thing that has helped make

1 this project certainly viable. And there's those  
2 that would say, "Well, that CO2 is being used to  
3 pull oil and gas out of the ground and you're  
4 going to be extracting more CO2 out of the ground  
5 and, you know, the cycle is going to be open."

6 But, you know, enhanced oil recovery --  
7 and I'm not the expert there, but that CO2 is  
8 recycled time and time again for many, many  
9 years. And I think the success rate and EOR  
10 fields around the world have proven that that  
11 technology can work very well.

12 So, we expect that it's going to be  
13 awhile before we're able to convince people that  
14 this technology is the right one. We are going  
15 to learn. We're going to share our learnings.  
16 And to the extent that we can build a case for  
17 the next two units, we will build that case. But  
18 it's going to be certainly something that we're  
19 going to take a long, hard look at.

20 Because again, we're a 4,000-megawatt  
21 power utility. One and a half billion dollars is  
22 a significant capital investment. And certainly,

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 we have to be mindful of keeping the rates  
2 affordable, keeping that energy reliable, and  
3 certainly building a sustainable fleet over the  
4 long term.

5           And I just lost the last part of your  
6 question.

7           MR. SLONE: Well, for Sask, could you  
8 extend this beyond Boundary Dam? Are there  
9 business opportunities

10           MR. MARSH: That's a good question. Are  
11 there business opportunities for us? We've  
12 certainly looked at that in Canada. Remember the  
13 technology, the amine capture technology is owned  
14 by CanSolv. The engineering was provided by SNC-  
15 Lavalin on the carbon-capture facility.

16           We have, I think our learnings are really  
17 on, how do you attach it to an existing power  
18 station? So, power utilities, you know, can  
19 learn from us. And I think that's probably where  
20 our knowledge will be most valued. How you can  
21 actually integrate it into an operating coal-  
22 fired power station, build a facility, and then

1 do something with that carbon dioxide. That's a  
2 pretty specialized market.

3 But I think when you look at, on a world  
4 scale, if there's opportunities around the world,  
5 we'd be happy to share, and we'd be more than  
6 happy to sell that if we could.

7 MR. JONES: Thank you, Mike, for that  
8 very interesting presentation. Mike Jones with  
9 the Lignite Energy Council, and I have a couple  
10 of questions.

11 First of all, you said that your success  
12 with CO2 removal brings you significantly below  
13 the regulation. Are you able to take advantage  
14 of that to look at the whole station? And then,  
15 secondarily, would you look at 4 and 5, would you  
16 look again at 90 percent? Or would you go for a  
17 lower level?

18 And then, finally, you are storing in  
19 Aquistore. Is this something you could retrieve  
20 during an outage or something like that to allow  
21 for a continuous supply of CO2?

22 MR. MARSH: Okay. I'll answer the last

1 one first. No. Once the CO2 goes into the  
2 Aquistore facility and down into the brine --  
3 essentially, it's a very, very toxic brine down  
4 there -- we can't extract it. It just goes in  
5 there, and it becomes mixable with that brine  
6 solution. So, no, we cannot.

7           And it's only going to be a relatively  
8 small component of the CO2 that we're extracting.  
9 So, again, putting it into the pipeline and  
10 selling it to the oil and gas companies is where  
11 most of that CO2 is going to go.

12           On units 4 and 5, we are going to be  
13 looking at how the regulations develop right now.  
14 In Canada, the regulations are for specific units  
15 of generation. So, we have to meet that 420  
16 target on every individual unit of generation  
17 that we have. We are looking right now at ways  
18 that that can be adopted across the coal fleet  
19 entirely.

20           And if that happens, we would be able to  
21 take advantage of, perhaps, not having to extract  
22 90 percent, but extract equivalent to gas, to

1 meet the regulation.

2           So, looking at how the regulations unfold  
3 in the next little while, and certainly working  
4 to help those regulations meet an equivalency  
5 standard for fleets, generation fleets, will  
6 probably allow us to build a station much less  
7 expensive than we were able to do on BD 3.

8           Right now, we still believe that, you  
9 know, pulling the 90 percent of the CO2 out of  
10 the exhaust stream for BD 3 today, we can build  
11 an equivalent facility 20 percent less for units  
12 4 and 5. And that's just based on the learnings  
13 that we have and the recent history that we have.  
14 So we're very optimistic that the next units will  
15 be more economic than this one.

16           MR. FLANNERY: Mike, I'm Dave Flannery  
17 with Steptoe and Johnson out of West Virginia.

18           Beyond the obvious technological  
19 accomplishments here, were there policy or  
20 regulatory or legal accommodations that had to be  
21 made for your project to deal with environmental  
22 regulatory issues or landowner rights, not so

1 much for EOR but for the storage and  
2 environmental liabilities of any kind that you  
3 had to accommodate?

4 MR. MARSH: The environment -- the  
5 Ministry of Environment in our province had to  
6 permit the Aquistore facility. So the injection  
7 well received its operating permits from our  
8 Ministry of Environment in the province before we  
9 could do any deep underground injection into that  
10 saline aquifer.

11 As far as getting an operating permit for  
12 constructing this facility to meet the best CO2  
13 capture in the world, there was not really a huge  
14 hurdle there. We met all the tests that were  
15 required, both federal and provincially. And  
16 certainly, you know, because of the very good  
17 environmental performance of this station, it was  
18 -- I wouldn't say it was a slam-dunk. But it was  
19 a fairly easy path for us to do that.

20 MS. SULLIVAN: Congratulations on a great  
21 project. I'm Vicky Sullivan with the American  
22 Coalition for Clean Coal Electricity.

1           You mentioned changes that were made to  
2 the existing Boundary Dam unit 3. Could you talk  
3 about those changes that were necessary to that  
4 unit? What portion of the project cost did those  
5 represent? And do you see those being needed in  
6 future projects, like for Boundary Dam 4 and 5?

7           MR. MARSH: Okay. Yeah. To start with,  
8 you know, we looked at increasing the overall  
9 gross capacity. So we went from 150 gross to  
10 160. We wanted to make sure we could extract as  
11 much energy out of that coal as we could. So we  
12 replaced the entire turbine generator set.

13           We also increased the size of the  
14 boilers. So we added a little more surface area  
15 to the boiler, replaced some of the super-heater  
16 and re-heater sections in that boiler.  
17 Basically, improved the design and efficiency of  
18 that boiler to extract the energy out of that  
19 coal by using the same amount of coal.

20           So, we were just able to make a more  
21 efficient boiler, a more efficient steam path, a  
22 new turbine generator set. It probably -- that

1 portion of the plant probably cost a little less  
2 than half of the \$1.5 billion that I spoke of  
3 earlier. So about 60 percent was for the carbon-  
4 capture facility, and 40-45 percent was for the  
5 boiler and the turbine generator set.

6 MR. PALMER: Hey, Mike. Fred Palmer.  
7 Great job, great project.

8 I was looking at one of your  
9 presentations online. And there's reference  
10 there -- maybe you had it and I didn't notice it.  
11 But the government put in \$240 million towards  
12 this?

13 MR. MARSH: Correct.

14 MR. PALMER: On your units 3 and 4, would  
15 that pertain -- would you need that, as well, or  
16 could you go ahead and do it without them?

17 MR. MARSH: No. We are not anticipating  
18 any more federal money being available to us. So  
19 we will have to make a much more solid business  
20 case without that \$240 million.

21 Being the first of its kind, it was  
22 certainly a big demonstration project for the

1 country. And that's the reason why the federal  
2 money was available. But we're not going to be  
3 seeing that for units 4 and 5.

4 MR. PALMER: And in this context, the  
5 enhanced oil recovery, obviously, was a major  
6 driver to do this?

7 MR. MARSH: Absolutely

8 MR. PALMER: In the parasitic load  
9 situation, this document I saw said it was at 21  
10 percent. Is that accurate? And what's an nth  
11 plant look like, do you think? Where can this  
12 technology lead us on the amine solution  
13 scrubbing?

14 MR. MARSH: Well, you know, I believe  
15 that based on the results we're seeing in the  
16 first few months of operation, there is always  
17 room for improvement. There's always a way to  
18 make your operating plants a little more  
19 efficient, both starting in the power house and  
20 ending up in the carbon-capture facility.

21 So just like any boiler and turbine  
22 generator set, you continually look for ways to

1 improve your cycle efficiencies and extract as  
2 much energy as you can. So that's what we need  
3 to work on over the next year, year-and-a-half as  
4 we prove the performance.

5           So we're going to be looking at  
6 everything to try to fine-tune this facility and  
7 to make it as efficient as we possibly can, and  
8 then take those learnings, you know, as we look  
9 at laying out a design for 4 and 5.

10           We don't have a number quite yet, because  
11 we haven't reached our peak performance yet. As  
12 I said, we'll probably reach that in June. Once  
13 we're able to operate at our design parameters,  
14 then we're going to work on that for the next  
15 year, year-and-a-half and really see where we can  
16 drive some efficiency out of that plant.

17           (Applause.)

18           MR. DURHAM: Thank you, Mike, for sharing  
19 your experience with us here this morning. And  
20 before taking a break, I'd like to turn it over  
21 to Janet Gellici for a special presentation.

22           MS. GELLICI: Thank you, Mike.

1           I wanted to take a few minutes today to  
2 acknowledge one of our members who has served as  
3 a guiding light for the NCC for many years and is  
4 transitioning to a new role in his company.

5           Fred Palmer has been a member of the  
6 National Coal Council since 1990, when he was  
7 Director of Western Fuels Association. Fred, I  
8 think you took a couple of years off of your NCC  
9 service, but you were reappointed in 2002, when  
10 you joined Peabody Energy.

11           For many years, Fred has served as Chair  
12 of the NCC's Coal Policy Committee, guiding our  
13 study efforts through many and various journeys.  
14 Fred has most recently served as Peabody's Senior  
15 Vice President of Government Relations. He's  
16 stepping down from that role this summer and has  
17 been named as a special advisor to the Office of  
18 the Executive Chairman at Peabody.

19           Fred, because you are such a guide to the  
20 NCC, we thought it would be appropriate to  
21 acknowledge your years of service with a compass  
22 to help guide you in your future endeavors at

1 Peabody and beyond. The inscription on this  
2 reads, "To Fred Palmer in appreciation for  
3 National Coal Council guidance since 1990."

4           You'll notice, Fred, that the inscription  
5 does not specify an end date. I said "since  
6 1990." Fred has assured me that he is not  
7 retiring from the NCC and will continue to  
8 support and help guide our group, going forward.

9           Fred, please join me up here. And would  
10 you all please join me in showing our  
11 appreciation for Fred Palmer.

12           (Applause.)

13           MS. GELLICI: There you go.

14           MR. PALMER: Thank you.

15           MS. GELLICI: And there's also, at the  
16 break -- I'll let Fred say a few words because I  
17 know he always likes to say a few words.

18           (Laughter.)

19           MS. GELLICI: But at the break, there's  
20 also a book that we'll have available if anybody  
21 would like to just jot down your thoughts and  
22 appreciation for Fred. I'll have that available.

1 So, there you go, Fred.

2 MR. PALMER: This makes me feel very  
3 happy and good, and it is indeed a surprise. And  
4 I deeply appreciate it and the relationship that  
5 I've had with this fabulous National Coal Council  
6 for -- 1990. Don Odell (phonetic), my God.

7 Anyway, there are two books that I  
8 believe in, and one is called "Passages." And  
9 I'm sure many of you have read that. And I guess  
10 I'm in that time in my life. And the other is  
11 "Younger Next Year," which has 10 rules. And the  
12 first rule is, have a cause.

13 And I noticed on this compass that it's  
14 pointing towards coal. So I'm not withdrawing  
15 from coal. Thank you very much.

16 (Applause.)

17 MS. GELLICI: Okay. We're going to take  
18 a break now. Again, let's reconvene at about 10  
19 to 11:00 for the remainder of our program. Thank  
20 you.

21 (Whereupon, at 10:35 a.m., a recess was  
22 taken, to reconvene at 10:52 a.m.)

1 MS. GELLICI: We're going to get started  
2 with our next session. If you can kindly make  
3 your way to your seats, I'd appreciate it. Thank  
4 you. I'd appreciate it if you could kindly take  
5 your seats.

6 (Pause.)

7 MS. GELLICI: You're all seasoned  
8 presenters. Thank you. We'd like to get started  
9 with our session. Thank you very much for  
10 finding your seats.

11 Welcome back, everyone. I wanted to take  
12 a moment to thank Hiranthie Stanford for her  
13 assistance in managing logistics for this  
14 meeting. Of course, she's not in the room  
15 because she's out doing something right now.

16 But she is our NCC Membership and  
17 Meetings Manager. She's actually been with us  
18 for a year now. I wanted to make sure that you  
19 all knew who she was. So if you haven't had a  
20 chance to introduce yourself to her, she is out  
21 at the registration table.

22 Also, before proceeding with our program,

OLENDER REPORTING, INC.  
1100 Connecticut Avenue NW, #810, Washington, DC 20036  
Washington: 202-898-1108 • Baltimore: 410-752-3376  
Toll Free: 888-445-3376

1 I'd like to acknowledge some folks for their  
2 extraordinary efforts in preparing our most  
3 recent study for Secretary Moniz, entitled  
4 "Fossil Forward: Revitalizing CCS." Our study  
5 was chaired by Amy Ericson, with ALSTOM. Amy,  
6 would you please stand?

7           And would you please all join me in  
8 acknowledging and thanking Amy for her great  
9 support that she gave on the project.

10           (Applause.)

11           MS. GELLICI: And, Amy, if you'll let  
12 Carl know that we're thinking of him, as well.

13           MS. ERICSON: And thanks to everyone in  
14 the room for the fuel effort and their  
15 contributions.

16           MS. GELLICI: Right. And I did want to  
17 acknowledge Carl Buzzuto also with ALSTOM as the  
18 lead author on that. Many, many others in this  
19 room contributed to the Fossil Forward study.

20           I'd like to ask those of you who  
21 participated in the study, whether writing  
22 sections for the report or reviewing or writing

1 fact sheets, to please stand at this time. Those  
2 of you who worked on the Fossil Forward study,  
3 please.

4 Thank you. And would you, the rest of  
5 us, please join in in acknowledging the fine  
6 effort of these individuals. Thank you very  
7 much.

8 (Applause.)

9 MS. GELLICI: We have three exceptional  
10 speakers to round out our program this morning.  
11 We'll begin with the presentation from Dr.  
12 Lawrence Makovich, who is Vice President and  
13 Senior Advisor with IHS CERA. Larry has more  
14 than 33 years of experience in the electric power  
15 industry. He is an authority on electricity  
16 markets, regulation, economics, and strategy.

17 His current research focus is on electric  
18 power market structure, demand and supply  
19 fundamentals, wholesale and retail power markets,  
20 emerging technologies, and asset valuations and  
21 strategies.

22 Larry has been a lecturer on managerial

1 economics at Northeastern University's Graduate  
2 School of Business. He holds a B.A. from Boston  
3 College, an M.A. from the University of Chicago,  
4 and a Ph.D. from the University of Massachusetts.

5           We're delighted, Larry, that you're able  
6 to join us and come down from up North and enjoy  
7 some of our thawed-out weather here, a little  
8 bit, for you. But would you please join me in  
9 welcoming Larry Makovich. Larry?

10           (Applause.)

11           DR. MAKOVICH: Thanks very much, and it's  
12 a pleasure to be with you here today. In fact, I  
13 was a little bit surprised when I had the  
14 invitation to talk about grid storage and coal-  
15 fired power plants. And the reason I was  
16 surprised is because I think most people don't  
17 appreciate or they underestimate, really, the  
18 potential that's out there for innovation in  
19 electric storage to benefit coal-fired  
20 generation.

21           I've got another event that I was invited  
22 to speak at next month that I wasn't surprised at

1 getting the invitation. And it's to talk about  
2 storage and how that's going to affect renewable  
3 power.

4           And the reason I mention that is I think  
5 the conventional wisdom is that energy storage,  
6 electric storage, really is an enabling  
7 technology to address the primary shortfall of  
8 intermittent renewables. And so people, I think  
9 most people, think that if we have breakthrough  
10 in storage technologies, it will really enable  
11 renewables to displace conventional generating  
12 technologies.

13           But I say that the conventional wisdom  
14 maybe even goes further than that, that I hear a  
15 lot of people think that energy storage is really  
16 going to enable, you know, an upending of the  
17 traditional utility model, grid-based, large  
18 central power stations and that storage will  
19 enable us to move to this distributed generation  
20 future.

21           So, I wanted to share with you a  
22 different perspective that we've gained from our

1 research into electricity storage and what that  
2 would mean for the future. I've given you my  
3 major takeaways here. And rather than repeat  
4 them, let me just try to build them up for you  
5 here.

6           But first of all, I wanted to just get a  
7 grounding in reality here. Where are we when we  
8 talk about electricity storage? And right now,  
9 the power business operates with very little  
10 inventory. All right? And just to give you a  
11 sense of that, I just wanted to put together --  
12 look at the supply that we have in the United  
13 States right now.

14           And if you try to characterize storage --  
15 and I didn't use hydro-reservoir as electricity  
16 storage, because it really isn't -- it is really  
17 a storage of energy, but it's not really what  
18 we're talking about here, like a pump storage  
19 plant.

20           But the majority of what we've got out  
21 there right now is pump storage. And of course,  
22 that is hugely dependent on, you know, your

1 natural endowments from geography. And we've got  
2 really very little of storage technologies that  
3 people are talking about, going forward.

4           What most people are focusing on and  
5 where the enthusiasm is on grid-based storage is  
6 for these larger projects where we're talking  
7 about these new, innovative, cutting-edge kind of  
8 battery technologies that people are focusing on.  
9 And I gave you a sense here of what's going on.

10           And again, when you look at the scale of  
11 the power business, this is really small-scale  
12 activity. But it is kind of the leading edge of  
13 this hope that, you know, we can come up a  
14 learning curve and demonstrate the viability and  
15 the economics of storage.

16           But what's important in this graphic is  
17 to look at, you know, the different experiments  
18 that are going on, the different kind of battery  
19 technologies, storage technologies, and in  
20 particular to note the kind of discharge capacity  
21 and duration of that discharge that's associated  
22 with the charging and discharging cycle.

1           And what you'll see if you look at the  
2 spread of stuff that's going on right now, you  
3 know, we're talking about these kind of four,  
4 five, up to twenty-five megawatt kind of projects  
5 here, with this discharge capability that's  
6 spanning hours when we look at where the  
7 experimentation is. And there is a lot of  
8 enthusiasm to advance this technology.

9           And you can look at this historical  
10 pattern of experimentation and investment here,  
11 and you can see that we are on the upswing. So  
12 it's an area, it's a technology that people are  
13 really focusing on because they can see it as a  
14 way to solve a lot of problems.

15           So, you know, as I look at my notes here,  
16 I was putting together, to make some points about  
17 that there's economics that affect inventory.  
18 And then I thought, well, I'm talking to a coal  
19 crowd. And if anybody knows about inventory  
20 economics, it's probably the coal business.

21           So I won't go into, you know, the basics  
22 here, other than to say that, look. You're

1 always evaluating the benefits versus the cost in  
2 order to figure out what kind of inventory makes  
3 sense. And so, if you're in the electric power  
4 business, and you're looking at the ups and downs  
5 of the demand for electricity -- and so I give  
6 you the example here of Texas.

7           And you ask yourself the question, you  
8 know, how much inventory could make sense? You  
9 can see that, you know, storage would be quite  
10 valuable because you have quite a substantial  
11 variation in use here.

12           For example, if you had the ability to  
13 push inventory to the limit here, you'd build  
14 enough power plants to produce all your energy in  
15 Texas, you'd need maybe 40,000 megawatts rather  
16 than, you know, 70,000 to be able to meet that  
17 peak. So you could substantially reduce the  
18 amount of capacity you have in place if you had  
19 inventory there to meet your ups and downs.

20           And what's interesting, too, here, is  
21 there's kind of two variations here. One is this  
22 hourly stuff within a day. And you can see the

1 kind of range there. You can see, you know, it's  
2 a little bit wider in the summer than it is in  
3 the spring and the fall. And then you've got  
4 this seasonal kind of variation where, in the  
5 extreme, you'd have inventory where you'd be  
6 charging up in the spring and discharging in the  
7 summer.

8           And of course, that is what essentially  
9 happens for things like hydro-reservoir in the  
10 Pacific Northwest and so forth. We actually do  
11 have kind of seasonal storage.

12           But just to give you a sense of what kind  
13 of challenge you're up against in the power  
14 business, why would inventory be valuable? And  
15 in analyzing this and looking at that kind of  
16 discharge, term that I showed you earlier, if you  
17 can only discharge for a few hours, up to four  
18 hours or so, you're not really reducing the need  
19 for capacity. This is the example that I ran for  
20 that Texas case.

21           So if you can discharge for under four  
22 hours or so, what you're really substituting for

1 is not so much capacity as it is things like  
2 automatic generator control and kind of  
3 predictive software that people use for wind and  
4 solar output.

5           But if you can store power and then  
6 discharge at capacity for this kind of four-to-  
7 twelve-hour period, this is where you can really  
8 start to level that load, increase the load  
9 factor. And so that's really kind of the sweet  
10 spot on what you want the performance  
11 characteristics of these technologies to look at.

12           So, you know, when you look at what's out  
13 there right now, you know, pump storage plants do  
14 that for you. They'll give you this kind of 12-  
15 hour charge, 12-hour discharge kind of situation.  
16 When you look at things like solar thermal power  
17 plants that are using molten salts to store heat  
18 and then produce electricity later, they're into  
19 this four-hour-plus kind of discharge range.

20           And so that looks like it's the sweet  
21 spot. If you get there, what you're going to be  
22 displacing in a power system are not your base-

1 load plants. It's your peaking and cycling  
2 plants that are getting displaced if you can  
3 build in this kind of storage capacity.

4           Now, when we think about the technologies  
5 that are out there and the ones that I showed you  
6 people are investing in, if you look at their  
7 kind of cycles of charging and discharging, most  
8 of what you see out there, with all these new  
9 battery technologies, are in this range where  
10 most of the benefits are not going to be to  
11 displace the generation.

12           That's all the way at the right-hand side  
13 where you've got things like compressed air  
14 energy storage and the pump hydro and a little  
15 bit of the battery technology.

16           But most of these current applications  
17 are really going, their primary benefits to  
18 justify their costs are the kind of grid-  
19 management things, about voltage stabilization  
20 and automatic generator control, transmission  
21 flow management, and so forth, much less on this  
22 question of being able to displace capacity.

1           And the only other thing about the  
2 technology that I wanted to say is, in analyzing  
3 technology, I think a lot of people pride  
4 themselves on being optimists. And I think that  
5 when behavioral economists study human nature,  
6 they come up with this characteristic that we  
7 have as human beings, that we tend to be  
8 optimistic.

9           And when you apply that to technology, I  
10 think you need to be careful that I see far too  
11 many people being optimistic and unrealistic  
12 about how quickly we can advance technology in  
13 general. I think the example of the carbon  
14 capture and sequestration is an example of, it  
15 takes a lot of time to do the research, do the  
16 demonstration, commercialization, wide-scale  
17 application.

18           And all too often, people are assuming  
19 things like Moore's law is going to apply to  
20 batteries and in a very quick time frame, we're  
21 going to have this revolution in power storage.

22           Remember, batteries are an old

1 technology. This is not something new. I mean,  
2 this goes back to Volta in the early 1800s and,  
3 you know, Gaston Plante, who made the first  
4 rechargeable battery in the mid-1800s. So, this  
5 isn't a new technology. I think we have to be  
6 careful of assuming we're on the verge of these  
7 dramatic breakthroughs and cost declines.

8           But in trying to think it through, if you  
9 think about what we're likely to see, I think it  
10 drives you to a very interesting conclusion.  
11 What has always been the case and what remains  
12 the case is that the lowest-cost way to give  
13 people the electricity they want when they want  
14 it is to build enough capacity to produce the  
15 energy when they need it.

16           That's been the longstanding engineering  
17 economics of power supply, which is why you see  
18 so little inventory in the mix. It's not that  
19 you can't store electricity; it's just that it's  
20 far more expensive to build electric inventory  
21 than it is to just build the additional  
22 production plant.

1           And so, I think that we have to realize  
2 that, given the current state of storage  
3 technologies, the current level of deployment,  
4 we're still a long way off before we're going to  
5 see the cost in performance of batteries really  
6 up-ending the central-station grid-based power  
7 and utility business model.

8           But I also think that there's a bit of a  
9 storage paradox here that people don't  
10 appreciate. So, let's assume the breakthrough.  
11 Let's assume that batteries are some kind of  
12 electric storage technology, beat the cost  
13 benchmark. They're cheaper to put in place than  
14 it is to build peaking-and-cycling plants. Let's  
15 assume the breakthrough, that we're there.

16           Now, think of the effect on the power  
17 generation system. So think about wind and  
18 solar. Wind and solar technologies generate at a  
19 utilization rate a plant factor of 20 to 30  
20 percent. Think about their coincidence to time  
21 of peak demand. So, typically, you can count on  
22 about 10 percent of the capacity for wind or

1 solar being there when you've got that peak  
2 demand for electricity.

3           Now, compare that to the characteristics  
4 of thermal generating plants, conventional  
5 generation, including a coal-fired power plant.  
6 So you're talking about something that you can  
7 depend on 90 percent of its capacity, you know,  
8 on average to be there at time of peak. And you  
9 can run these things, you know, at 70 percent or  
10 better of plant factors.

11           So it gives rise to what I call this  
12 storage paradox. I showed you the Texas example  
13 there. The average load compared to the peak  
14 load, what people call the load factor, is about  
15 57 percent. So, in this example, I say, all  
16 right, let's suppose you've got an increase in  
17 demand of one megawatt. With a load of 57  
18 percent, you're going to need about 5,000  
19 megawatt-hours. So there's an increase in demand  
20 for power like the pattern we saw in Texas.

21           Let's think about serving that now if  
22 storage technologies are cheaper than peaking and

1 cycling units. So, one option is, let's build a  
2 wind technology plus storage. All right. So, if  
3 the load factor is around 57 percent, I have to  
4 build two megawatts of wind if it's running at 30  
5 percent plant factor to give me all the energy I  
6 need.

7           And since I can only count on the wind  
8 capacity, about 10 percent of it, to be there at  
9 peak, in order to meet that one megawatt I need  
10 about 0.8 megawatts of battery. So if I wanted  
11 to meet the increment of demand and produce all  
12 the energy that people want, if I use wind plus  
13 this new storage technology, I need to build  
14 about 2 megawatts of wind and 0.8 megawatts of  
15 storage.

16           Now, let's look at a conventional  
17 technology. So let's look at a coal-fired power  
18 plant with carbon capture and sequestration. So  
19 when you think about a plant like that, you can  
20 run a plant like that at, you know, 80-90 percent  
21 load factor. So, since I can run this thing  
22 close to flat-out, I only need to build about 0.6

1 megawatt, and I run it flat-out base-load.

2 I can produce all the energy that I need.

3 And since I can count on it to be there at time  
4 of peak, I only need about half as much storage.

5 So the interesting thing about this  
6 paradox, as you look at it, is it is true that  
7 what people think is if we have a breakthrough in  
8 storage technologies, it's going to improve the  
9 economics of intermittent wind and solar.

10 What people fail to appreciate is it's  
11 likely to improve the economics of high-  
12 utilization power plants even more, the paradox  
13 being a breakthrough in power storage technology  
14 is likely to advantage base-load generation  
15 versus renewables, which is not something that  
16 most people are anticipating.

17 So, why is it that we look at the  
18 engineering economics of storage and come to a  
19 completely different kind of expectation for how  
20 this might play out in the future than what most  
21 people think?

22 So, I'm going to end with just some

1 reasons why I think that might be the case. I  
2 think one is it depends on what your objective  
3 is. If your objective is to maximize renewables,  
4 then your focus is that, yes, breakthroughs and  
5 lower-cost batteries are going to help the  
6 performance characteristics of renewables.

7           If your objective is to give people  
8 electricity at the lowest cost when they want it  
9 in the amounts that they want, it does shift your  
10 perspective and your conclusion.

11           And then the other thing is, I think we  
12 also have to look -- you know, why is this so  
13 different from the conventional wisdom? There  
14 are a lot of people that want to believe that the  
15 future is a distributed, small-scale, small-is-  
16 beautiful kind of world that this will enable.

17           And that strong kind of belief that  
18 that's the vision that we need to move to is why  
19 people will say, "You know, we can count on  
20 Moore's law. We're on the verge of this  
21 breakthrough" and why there's so much optimism,  
22 because people want to invent this very different

1 future.

2           So, my predictions are, I expect  
3 continued enthusiasm for the potential for  
4 innovation and advances in battery technologies.  
5 I expect most of the traction will come from the  
6 benefits they deliver to grid operations. I do  
7 expect tension, going forward. I think it's  
8 going to take longer than most people expect for  
9 battery technologies to get to where they're a  
10 widespread application in power systems.

11           And I think that when people do their  
12 integrated resources planning and when they do  
13 their simulations, what they're going to be  
14 finding is this underlying storage paradox is  
15 true, and there's going to be a tension here  
16 that, you know, the economics are going to be  
17 pushing you in a direction different from the  
18 vision that many people have that we're moving to  
19 a distributed world.

20           So, I'd watch that tension to see how  
21 that's going to play out in energy policy, which  
22 I think is kind of geared towards delivering the

1 vision and may have some misalignments with some  
2 of these basic economics.

3           So with that, I think we've got time for  
4 a few questions.

5           (Pause.)

6           MR. DURHAM: Good morning. Mike Durham,  
7 Advanced Mission Solutions.

8           So, if you look at integrating storage  
9 with like solar, wind, they're producing  
10 electricity. So you have to store electricity  
11 and then turn it back. If you look at storage at  
12 a fossil plant, you're producing heat and then  
13 you turn that heat to electricity. And so you  
14 have options of not just storing energy in the  
15 form of storing electricity, but storing heat and  
16 then using it.

17           So, I wonder if you'd just contrast that  
18 with inside the plant as other opportunities.

19           DR. MAKOVICH: Sure. Yeah. And I  
20 mentioned the technology there of solar thermal  
21 plants. There's a handful of those in the U.S.  
22 There's a couple of dozen worldwide. And that

1 is, essentially, the storage medium is a heat  
2 storage.

3           So, you know, I think it actually was --  
4 there was one of these adventure movies where  
5 they had this fight scene on the top of one of  
6 these towers, if people remember that. But you  
7 know, it's where they've got all those mirrors  
8 that focus up on a tower. It's got molten salts.  
9 It stores the heat. And then when you want to  
10 generate the electricity, that heat is then used.

11           So, yes. The way that electricity can be  
12 stored doesn't necessarily have to be battery  
13 technology. That's where a lot of the focus, the  
14 excitement is right now. But you're right.  
15 There's heat storage.

16           I noticed -- and I showed you, compressed  
17 air storage, the pump storage is you're using  
18 water across, you know, different hydro head  
19 heights as the medium.

20           So, yes, power generation is  
21 fundamentally the process of turning one form of  
22 energy into another. And you're right. It could

1 be the medium here is heat different from  
2 chemical batteries and so forth. So, your  
3 storage is a much broader set of technologies.  
4 And heat storage is certainly something that  
5 we're seeing activity in right now.

6           The major focus right now, though, is on  
7 these battery technologies I showed you.

8           MS. SULLIVAN: Hi, there. Vicky  
9 Sullivan, American Coalition for Clean Coal  
10 Electricity.

11           Yesterday, there was an announcement by  
12 some researchers at Stanford about yet another  
13 breakthrough in battery technology, aluminum ion,  
14 I believe. Could you comment on that?

15           DR. MAKOVICH: Well, that's why I wanted  
16 to mention kind of this Moore's law idea. And  
17 you know, I was introduced that I've been  
18 analyzing this business for over 30 years. And I  
19 think one of the advantages of doing research in  
20 an industry over a long period of time is you do  
21 get some perspective. And that's why I caution  
22 people on this technology optimism.

1           And I'll just give you a couple of other  
2 examples. You know, the world that people wanted  
3 to create -- well, technology optimism, the thing  
4 that you hear oftentimes is that, "Look. If we  
5 can put a man on the moon, we can" -- and then  
6 you fill in the blank, right?

7           And so, it took about eight years between  
8 when President Kennedy said we're going to put a  
9 man on the moon, even though we don't know how,  
10 and the Eagle landed. So when the first  
11 investment tax credits for renewable energy were  
12 put in place, they were put in place for eight  
13 years.

14           And I think there's a connection there.  
15 I think the idea was, look. If you subsidize  
16 something for eight years, you'll get people to  
17 do some of it. You'll get scale. You'll get  
18 innovation. Costs will come down. And then  
19 you've got this disruptive technology that's  
20 going to change the world.

21           And instead of the invention we wanted,  
22 changing the world, the biggest technological

1 innovation over that time frame was shale gas.  
2 So instead of inventing the cheap, renewable  
3 future that everybody was hoping for, innovation  
4 and technology delivered a fossil fuel  
5 revolution, which was not what people were trying  
6 to move towards.

7           So I think you have to be very cautious.  
8 People tend to overestimate the control they have  
9 over shaping the future. I think we see that in  
10 technology all the time. And I caution people on  
11 the battery side. It's not a new technology.  
12 The batteries in your car are the same thing that  
13 were in cars 100 years ago.

14           And so, I think that the emphasis is  
15 certainly there. We're seeing a ramp-up. We are  
16 seeing innovation. But I think we have to be  
17 much more realistic on the time scale that we're  
18 looking at. So, yes. There's always headline  
19 stuff.

20           The other thing I remind people of -- 10  
21 years ago, if I were standing here today, people  
22 would probably have asked me, "How are fuel cells

1 going to change the business?" Because if you'll  
2 remember, we were all going to have little fuel  
3 cells in our backyards and that was going to be  
4 completely disruptive. And the optimism there  
5 was separate from the reality, and it never  
6 played out.

7           So those are the lessons I think you have  
8 to take away when you're trying to follow what's  
9 happening here on the power storage technology  
10 side.

11           MS. SANTOIANNI: Dawn Santoianni with Tau  
12 Technical.

13           Can you comment on what you see as far as  
14 the role of short-term dischargeable energy  
15 storage like batteries for grid regulation  
16 services, compared with something that is a quick  
17 ramping, dispatchable, thermal unit?

18           Particularly, I'm thinking, you know,  
19 there are units that are coal units now that,  
20 especially in Europe, are very quick-ramping  
21 units and so, can not just follow a load, but can  
22 really get up to meet peak demand, uncertain

1 demand in a quick time frame?

2 DR. MAKOVICH: Right. Right. So, yes.  
3 As I mentioned, the power system is a really  
4 complicated machine. And a lot of generating  
5 plants are as much a source of electric energy as  
6 they are a source of transmission control.

7 So when I mentioned, there's a subset of  
8 power plants that are under automatic generator  
9 control. The people in the control rooms there,  
10 they're speeding up and slowing down these plants  
11 to govern the flow of electricity around the  
12 grid.

13 And then there's these problems of  
14 reactive power, which, so when you've got loads  
15 of electric machinery and so forth, they create a  
16 reactive power that throws the cycles of the  
17 power running through the system out of phase  
18 with itself, so that you need to manage the  
19 reactive power.

20 That's what these battery technologies  
21 are going to be very effective at doing. Just  
22 put in the grid in the right places, they can

1 help manage voltage. And one of the challenges  
2 that's cropped up with wind and solar is that not  
3 only are they intermittent, but that they can  
4 change very rapidly.

5           So, all of a sudden, you know, a weather  
6 front comes in. And, you know, we've seen this  
7 in Texas and so forth. So, a weather front comes  
8 in across all of Texas. All of the wind drops  
9 rapidly, or speeds up and has to cut out because  
10 it's too fast. But either way, the system has to  
11 adjust very quickly to this change in sources of  
12 electricity in the grid.

13           And that's where these technologies can  
14 be very, very helpful in managing the power  
15 flows. So, I think that, although a lot of  
16 people hope or think that the killer app of  
17 storage is going to be the intermittency of wind  
18 and solar, I think it's going to get its traction  
19 first in these other, very technical aspects of  
20 grid management.

21           And that, of course, means if the major  
22 benefit is to improve the operation of the grid,

1 that's a good thing for grid-based power supply.

2 MR. SLONE: Deck Slone, with Arch Coal.  
3 Great non-intuitive conclusions, as always, and  
4 really interesting stuff.

5 I guess I want to ask you -- we started  
6 this conversation last night a little bit at the  
7 reception. But the knock-on CCS, CCUS is that,  
8 you know, it's just too hard and too expensive.  
9 And I wanted to get your thoughts on,  
10 understanding that it's not knowable, as you've  
11 pointed out, technology does, you know, things  
12 happen at different speeds and it's not entirely  
13 knowable.

14 DR. MAKOVICH: Right.

15 MR. SLONE: But when you think about  
16 where CCS, CCUS is today, and maybe in light of  
17 the Boundary Dam discussion earlier versus large-  
18 scale storage, what's harder? What's more  
19 expensive? What's further out, from your  
20 perspective? Understanding there's a scale  
21 question.

22 And then I guess the second part of the

1 question would be, when you think about what  
2 build-out really looks like, if we really know  
3 what storage is going to look like, if these are,  
4 you know, large-scale battery systems, chemical  
5 reactions, what do you think the reaction is  
6 going to be to that? Is that the future that's  
7 being envisioned?

8           Because these are obviously going to be  
9 very large, industrial-type facilities. So,  
10 interested in your thoughts on either of those,  
11 both of those.

12           DR. MAKOVICH: Okay, good. Let me start  
13 with the last one first, which is the large scale  
14 versus small scale. I think it's interesting to  
15 note that when you look at the technologies we  
16 use to produce electricity and distribute it,  
17 there's enormous economies of scale in just about  
18 every part of the power business.

19           So, for example, when you look at wind,  
20 wind power has demonstrated dramatic economies of  
21 scale. The towers are taller, the blades are  
22 longer, and the generation is greater because

1 there's enormous economies of scale. There are  
2 economies of scale in solar. Utility-scale solar  
3 farms are about 50 percent less expensive than  
4 the same amount of capacity distributed around on  
5 a lot of people's rooftops.

6           So, if -- and I think my bet would be it  
7 is far more likely that battery technology  
8 innovations are going to demonstrate economies of  
9 scale than not, which would mean that if we get  
10 breakthroughs in battery technologies, that the  
11 economics are going to drive towards bigger grid-  
12 based storage rather than a lot of small  
13 distributed storage in people's homes that are  
14 allowing them to unplug because they've got PV on  
15 the roof and a battery in the basement.

16           So, I think economies of scale would tend  
17 to suggest we're going to stick with a grid-based  
18 power.

19           And on the cost side, what this example  
20 illustrates is you want to be comparing apples to  
21 apples. And what this says is that if we say,  
22 "Look. For power supply, you've got to meet not

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 just kilowatt hours whenever the sun shines or  
2 the wind blows, but it's when people need them,"  
3 then you need to take the time dimension into  
4 account in a cost assessment.

5           And what this says is, if you have,  
6 instead of a battery, if we're talking about  
7 peaking units to integrate the renewables, you  
8 can do the same kind of analysis. If you look on  
9 an integrated basis, what is the cost of wind and  
10 solar integrated with natural gas-fired  
11 generation? And compare that, so that can do the  
12 same thing that your dispatchable coal-fired  
13 power plant with carbon capture and  
14 sequestration.

15           What's interesting about that cost  
16 comparison is wind and solar integrated with gas  
17 has a carbon footprint, the natural gas-fired  
18 generation that's necessary to fill in and back  
19 up for it.

20           So we can look at, what is the additional  
21 cost of building wind, integrated by gas, from  
22 just building gas alone? And I can look at the

1 difference in the carbon footprint, and I can  
2 come up with a cost per ton of CO2 reduced. And  
3 I can compare that to the cost per ton of CO2  
4 reduced from a coal-fired unit with capture and  
5 sequestration.

6           And it will be -- it's very interesting,  
7 because what it really does show you is that --  
8 and I've done this for nuclear that, for example,  
9 nuclear power is far more competitive when we're  
10 thinking about ways to reduce CO2 cost-  
11 effectively, than wind and solar integrated by  
12 gas. But people don't do that kind of  
13 calculation.

14           But if you do, because of the high  
15 removal percentage of carbon capture and  
16 sequestration, I think you'd be pleasantly  
17 surprised at how good something like that looks  
18 on a dollar-per-ton-of-CO2-reduced basis. You'd  
19 be, I think, pleasantly surprised at the relative  
20 economics.

21           And really, that's the whole point. Why  
22 do we have mandates to build wind and solar?

1 Because we want to address CO2 emissions. And if  
2 that is the whole purpose, then let's use a  
3 metric cost-per-ton-reduced to judge the best  
4 ways to approach this.

5 Okay. Thanks.

6 (Applause.)

7 MS. GELLICI: Thank you, Larry. I  
8 appreciate your being here today.

9 Our next presenter is Patrick Falwell.  
10 He was a Solutions Fellow with the Center for  
11 Climate and Energy Solutions. Patrick analyzes  
12 clean energy and climate change policy at both  
13 the state and federal level.

14 He previously worked as a research  
15 analyst for the U.S. Bureau of Statistics and the  
16 Consumer Price Index. He holds a Master's of  
17 Arts in International Economics and Energy from  
18 Johns Hopkins School of Advanced International  
19 Studies, as well as a bachelor's degree from  
20 Georgetown University.

21 Would you please join me in welcoming  
22 Patrick Falwell? Patrick.

1 (Applause.)

2 MR. FALWELL: Good morning, and thanks,  
3 Janet, for that introduction. My name is Patrick  
4 Falwell, and I'm a Solutions Fellow with the  
5 Center for Climate and Energy Solutions, or C2ES.  
6 My colleague, Jeff Hopkins, our Vice President  
7 for Policy and Analysis, is actually a member of  
8 the Coal Council.

9 Just a little bit about C2ES. We're an  
10 independent, non-partisan, nonprofit  
11 environmental organization dedicated to finding  
12 practical and effective solutions to our twin  
13 climate and energy challenges. You may have  
14 previously known us as the Pew Center on Global  
15 Climate Change, and we were rebranded as C2ES in  
16 2011.

17 Bob Perciasepe, the former acting  
18 administrator of the EPA, is our new president.  
19 And we work with a 30-member business  
20 environmental leadership council of major Fortune  
21 500 companies that want to help us identify  
22 practical solutions to dealing with climate

1 change, though the views that I represent here  
2 today are purely those of C2ES.

3           You may also know us for our work with  
4 the National Enhanced Oil Recovery Initiative.  
5 And this is a project that we've been convening  
6 with the Great Plains Institute since 2011. The  
7 short acronym for this is NEORI.

8           NEORI brings together a group of  
9 companies, environmental groups, labor  
10 organizations, and state officials who don't  
11 always see eye to eye on climate and energy  
12 policy, but they do agree that capturing CO2 from  
13 power plants and industrial facilities and using  
14 it for enhanced oil recovery is a good thing.  
15 And it's something that can address our joint  
16 energy, security, environmental, and economic  
17 challenges within the United States.

18           This group issued a set of consensus  
19 policy recommendations for federal and state  
20 actions. And in the last two Congresses, these  
21 recommendations were incorporated into  
22 legislation that was introduced. And I'll go

1 into a little bit more detail on this later on.

2           Just a quick overview of what I'll cover  
3 today, just give some thoughts about what C2ES  
4 thinks about CCS. And then I'll also get into  
5 the economics of carbon capture and storage and  
6 what role enhanced oil recovery can play. And  
7 also, how incentives can likely make up the  
8 difference between what EOR provides in terms of  
9 economic value and what's needed to actually get  
10 more projects up and running.

11           Just briefly, on where C2ES sees CCS. We  
12 acknowledge that the entire world is dependent on  
13 fossil fuels to meet 80 percent of its energy  
14 needs. This will likely continue well into the  
15 future. And while we're using these fossil  
16 fuels, we need to figure out a way to deal with  
17 their emissions to meet global climate  
18 objectives.

19           This is the International Energy Agency's  
20 estimate for how much we'll need CCS between now  
21 and 2050. The IEA estimates that we'll need CCS  
22 to provide about 14 percent of cumulative

1 emissions reductions between now and 2050 to meet  
2 a 2 degree objective. That's along with various  
3 other clean and renewable energy technologies.

4           In 2050 itself, I believe the IEA  
5 estimate is that we'll need CCS to provide one-  
6 sixth of what's needed in terms of reducing  
7 emissions, which is the equivalent of eight  
8 gigatons of carbon capture per year. However,  
9 the reality is that we're only about 20 million  
10 tons of CO2 capture per year, so we have a long  
11 ways to go.

12           Just one thing I also want to point out  
13 about IEA's estimates and the PCC, is that CCS is  
14 not just a coal power plant story. A number of  
15 other industrial processes and natural gas will  
16 ultimately have to consider this technology as  
17 well to make a true dent into their global  
18 emissions.

19           And just on the chart here, the gray area  
20 represents coal with CCS, and it's obviously the  
21 biggest part. But you can see there's several  
22 other colors representing industries and other

1 power-generation opportunities where CCS is  
2 needed.

3 Overall, CCS development is not on track.  
4 We need a number of additional commercial-scale  
5 facilities up and running today to truly drive  
6 the cost down and to make it a more economic  
7 technology. As you know, we only have one power  
8 sector project up and running right now. And  
9 there's two more under construction in  
10 Mississippi and Texas.

11 There's been a little bit more success on  
12 the industrial side, applying CCS to natural gas  
13 processing, fertilizer and ethanol production,  
14 and even hydrogen production at a refinery. To  
15 get more projects up and running, I think it  
16 requires taking a look at the economics of an  
17 individual CCS project and how we cover the  
18 incremental cost of investing in capture and in  
19 transportation technology.

20 Certainly, the ability to sell captured  
21 CO2 for revenue is a big economic driver for  
22 getting more projects up and running. And I

1 think the best example of selling CO2 and  
2 creating a value is selling it for use in  
3 enhanced oil recovery, or CO2 EOR.

4           And this is just a representation of  
5 what's needed to be done. Even when you are able  
6 to monetize captured CO2 and sell it, there is  
7 still expected to be a cost gap between the cost  
8 of capture and transport of a ton of CO2 and the  
9 revenue you derive from selling the CO2. And I  
10 think this is where a variety of federal  
11 incentives will probably come in to bridge what  
12 we call the cost gap.

13           And I'll go in -- the second half of my  
14 presentation will cover a little bit more about  
15 what federal incentives can do and how various  
16 approaches will address the economics of carbon  
17 capture.

18           But just briefly, how does CO2 EOR work?  
19 It's usually tertiary oil production, which means  
20 it follows other primary methods that extract  
21 anywhere between 30 to 50 percent of the original  
22 oil in place in a well. Given that there's

1 perhaps up to 50 percent of what was there before  
2 still in the ground after these initial  
3 production techniques, there are other methods to  
4 recover the oil in place.

5           And carbon dioxide has the unique  
6 property of being able to bond to oil. It bonds  
7 with it, makes it flow through a reservoir more  
8 easily, and gets at the hard-to-reach oil that  
9 wasn't recovered by earlier production  
10 techniques.

11           Just in general, the experience with the  
12 Permian Basin of Texas is that, if you inject a  
13 ton of CO<sub>2</sub>, you'll get 2.5 barrels of oil  
14 recovered from that.

15           Just also in terms of potential  
16 environmental benefits of EOR, you're going into  
17 an existing well. You're accessing light, sweet  
18 crude that maybe has a lower carbon intensity  
19 than other oil production. And if you assume  
20 that EOR may have the ability to displace another  
21 barrel of oil from the market that does not store  
22 any CO<sub>2</sub>, you're doing a little bit better from a

1 carbon perspective.

2           Just some quick statistics about where  
3 CO2 EOR is currently. It accounts for about  
4 300,000 barrels of oil production per day.  
5 That's the equivalent of 4 to 5 percent of total  
6 U.S. production. But that's shifting with how  
7 much oil we're producing by other methods.

8           There's over 4,000 miles of CO2 pipelines  
9 in place. Some of these pipelines span hundreds  
10 of miles and even cross international borders  
11 with Canada.

12           Annually, there's about 65 million tons  
13 of CO2 injection. But only about 20 percent of  
14 this derives from a manmade source. It's not  
15 well known that the majority of the CO2 that's  
16 used in EOR actually comes from natural  
17 formations of underground CO2. It's usually a  
18 surprising fact for folks.

19           We've been doing this for about 40 years  
20 in the United States. History suggests that EOR  
21 has the potential to permanently sequester large  
22 volumes of CO2 from the atmosphere. Research has

1 been done by international researchers to confirm  
2 that, once injected in the ground and cycled  
3 through several times, CO2 does remain in place  
4 and permanently stored.

5 Overall, there is significant potential  
6 to expand EOR production and address both energy  
7 security and environmental challenges. This is  
8 just a quick summary of the work of Advanced  
9 Resources International and the National Energy  
10 Technology Laboratory. They estimate that  
11 between 20 and 60 billion barrels of oil is  
12 economically recoverable via CO2 EOR That's  
13 equivalent to at least our current reserves, if  
14 not double that.

15 The recovering of this oil at the same  
16 time would involve the utilization of anywhere  
17 between 8 and 16 billion tons of CO2, which is an  
18 extraordinary amount.

19 This is just a map of where most EOR  
20 projects are located today. The Permian Basin of  
21 West Texas is, obviously, the heart of EOR  
22 production. But there are additional

1 opportunities in the Gulf Coast stretching from  
2 Mississippi all the way to East Texas.

3           Also, in the West, where Wyoming is  
4 pretty much the heart of EOR opportunities up  
5 there, but the opportunities stretch into North  
6 Dakota, Montana, Colorado. I'll just highlight  
7 that EOR opportunity is also present in  
8 California, which is in the process of figuring  
9 out how to document CCS projects and enhanced oil  
10 recovery for meeting its state climate goals.

11           And the industrial Midwest also has EOR  
12 opportunity as well. And most people don't  
13 associate that as an energy-producing region  
14 anymore, but there's a lot of oil development  
15 there in the last century that's slowed. But the  
16 potential remains because the oil is still there.  
17 So, we find CO2 EOR to be a pretty compelling  
18 story.

19           But as you know, recently, the oil prices  
20 have had a bit of a tumble. We've gone from  
21 three or four years or so where the value of a  
22 barrel of oil was above \$90. That rapidly

1 declined in the last couple of months of 2014 to  
2 about \$40 to \$50.

3           IEA has forecasted a slight rebound in  
4 where those prices will be, potentially getting  
5 it back up into the \$50-\$60 range. But the  
6 general sense is that we're not going to get back  
7 up to \$90 or \$100 a barrel, barring some  
8 unforeseen global geopolitical challenge.

9           At the same time, IEA also forecasts that  
10 existing production will actually continue to  
11 increase for the remainder of 2015 before  
12 plateauing in 2016. It's not exactly clear when  
13 the low oil prices will cause producers to cut  
14 back production or otherwise slow what they're  
15 doing already.

16           And the question becomes, how does EOR  
17 factor into what the market is experiencing right  
18 now? And the story that we've been -- the story  
19 that's been explained to us by those working in  
20 the EOR industry is that CO2 EOR actually does  
21 pretty well during periods of volatile oil price  
22 changes.

1           You can see here in this graph that EOR  
2 production has steadily increased over time,  
3 maintaining its existing production volume even  
4 when prices have swung wildly. It hasn't  
5 increased either when prices have rapidly  
6 increased as well. But in general, we've slowly  
7 seen the gradual increase of EOR over time.

8           What is it about EOR that makes it  
9 somewhat resistant to oil price changes? Well,  
10 it's just the actual profile of an EOR project.  
11 It takes anywhere between zero and five years to  
12 actually hit peak production.

13           As I understand other oil production  
14 opportunities, within a year you get a high and  
15 quick return for your investment. But that  
16 production eventually subsides and you have to  
17 move on to the next place.

18           EOR is much different, because you will  
19 actually produce potentially for decades. The  
20 first year, you do a cycle of continuous CO2  
21 injection. That may not produce oil. But  
22 eventually, within the first year or two, you do

1 get some oil out of the ground. Between the next  
2 three to four years, you slowly build production  
3 that is sustained for at least a 10-year period.

4           And then the expectation is that  
5 production volumes decline gradually over time,  
6 but potentially lasting 30-40 years. Knowing  
7 this, EOR operators do not expect to have high  
8 and immediate returns often witnessed with other  
9 oil production opportunities. Given the long-  
10 range production forecast for their projects,  
11 they expect oil price volatility. They build it  
12 into the economic case for deciding whether to  
13 produce or not.

14           Once they are up and running, they have  
15 actually a pretty low marginal cost to produce,  
16 meaning that they can ride out the bad times and  
17 maintain their existing production and remain  
18 steady until oil prices increase again.

19           I would say that the challenge for them,  
20 though, is that low oil prices mean that it's  
21 hard to initiate new floods and increase  
22 production beyond where it is already. The lower

1 oil prices, obviously, constrain how much of the  
2 capital budget they have.

3 I don't think there's a certain level  
4 that they need to begin production. However,  
5 \$40, \$40 or \$50 is probably low for anybody. The  
6 biggest constraint on EOR expansion is also the  
7 availability of CO2 supply. And how much --  
8 getting a new supply of CO2, whether from a  
9 manmade or natural source, is challenging,  
10 challenges an EOR operator's willingness to pay.

11 Their ability to pay for CO2 is usually  
12 tied to the sales price of a barrel of oil. So,  
13 if you have \$100 -- for example, a \$100 barrel of  
14 oil, they may be willing to pay \$35, which is  
15 representative of 2 percent of the total cost of  
16 the sales price of a barrel of oil, adjusted for  
17 a ton of CO2.

18 How does this -- so, we may not see an  
19 increase in EOR production as the result of these  
20 lower oil prices. But I think there's additional  
21 implications for policy makers and those studying  
22 this issue. First, that the states that are very

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 worried about where their oil revenue is going to  
2 go once we -- if for an extended period of low  
3 oil prices, EOR presents some stability.

4           Obviously, royalties and what-not are  
5 tied to the price of oil. But the hope is that  
6 EOR can continue to produce in times of  
7 austerity. The other important implication is  
8 that, as I just explained, the willingness of oil  
9 producers to pay for CO2 is tied to the price of  
10 oil. That impacts how much a capture project can  
11 expect to receive for selling its CO2.

12           The variability of the revenue that a  
13 capture project will receive from the CO2 sales  
14 is an inherent economic risk when an investor or  
15 financier looks at the project finance case for a  
16 project. And if there's no compelling way to  
17 address this uncertainty, then that remains an  
18 ever-present risk and makes the final investment  
19 decision pretty hard.

20           So, moving back out, I just gave an  
21 overview of what EOR can do to influence the  
22 economics of a capture project. I think the

1 expectation is that we'll still have a cost gap  
2 even after the revenue from selling captured CO2  
3 is considered. And this is where federal  
4 incentives have a role to play.

5 To date, this is a quick summary of what  
6 has been available at the federal level in terms  
7 of economic incentives for carbon capture.

8 Grants, mostly provided through the  
9 Department of Energy, have been the primary  
10 driver for getting commercial-scale capture  
11 projects up and running. Given that billions of  
12 dollars were devoted to these grants, it's a  
13 pretty high fiscal cost, and it's not clear if  
14 similar support will be available in the future.

15 Tax incentives have been another  
16 incentive available federally. There have been  
17 the 48-A and 48-B ITC's that have been allocated  
18 through an application process. The projects  
19 that were awarded these credits have still  
20 struggled to move forward.

21 There is also a 45-Q production tax  
22 credit for carbon sequestration. This is the tax

1 credit that our NEORI group has taken the closest  
2 look at. It was only authorized for 75 million  
3 tons of CO2. We expect it to be completely  
4 exhausted within the next couple of years, just  
5 based on the capture capacities of existing  
6 projects.

7           Just the way that the credit was written,  
8 there's limited certainty. There was no way to  
9 reserve the credit, and that created a barrier  
10 for projects hoping to utilize it once they're up  
11 and running and present the certainty of  
12 receiving the credit when they're seeking  
13 private-sector finance.

14           However, without that ability, it's been  
15 difficult for the private sector to use. Also,  
16 at \$10 per ton of CO2, it may have been  
17 insufficient to drive the most innovative carbon-  
18 capture projects.

19           DOE has also had a loan guarantee program  
20 in place, though to my knowledge no projects have  
21 been able to apply for it and successfully get  
22 that benefit.

1           There has, I would say, been significant  
2 political interest in addressing the economics of  
3 carbon capture and storage. And this is just a  
4 list of what's been done in the last Congress or  
5 so.

6           Last year, Senator Rockefeller introduced  
7 the entirety of our NEORI group's recommendations  
8 to expand and reform the existing 45-Q tax  
9 credit. It reflects our consensus approach, and  
10 it would provide an incentive to support the  
11 broad deployment of capture technologies beyond  
12 the existing 45-Q.

13           Senator Heitkamp of North Dakota  
14 eventually cosponsored this bill as well. She  
15 also introduced her own legislation to provide an  
16 investment tax credit and a competitively awarded  
17 subsidy for CO2 capture at coal-based projects.

18           Incentives for CCS have also been  
19 considered as part of larger clean energy and  
20 renewable energy strategies. The bipartisan  
21 Master Limited Partnership bills in the House and  
22 Senate are one example of this. And Senator

1 Wyden's comprehensive tax energy reform would  
2 have provided eligibility for carbon capture for  
3 the benefits that that would have established.

4           Finally, just this year President Obama  
5 introduced his 2016 budget. That includes two  
6 incentives that would be directed towards carbon  
7 capture. They would be authorized for billions  
8 of dollars, but it remains to be seen whether the  
9 President's budget will advance all that quickly  
10 through Congress.

11           Just in what our NEORI coalition has  
12 looked at in terms of what the priorities are  
13 when designing new incentives, how can incentives  
14 actually address capture project economics?  
15 First, are they on the sufficient level to  
16 address the cost gap?

17           Second, what happens if a carbon-capture  
18 project has no tax appetite? It's very likely  
19 that most of these projects early on will have  
20 high debt burdens.

21           A high burden means you can write off  
22 your interest payments on your tax return. Given

1 that, you may not have a tax appetite to properly  
2 utilize the variable tax incentives. If that's  
3 the case, can tax credits be refundable? Can  
4 they be assigned to other parties that do have  
5 tax appetite?

6           Again, I mentioned the inherent risk of  
7 CO2 revenues derived from selling the CO2 for use  
8 in EOR. If oil prices are very volatile, then  
9 that revenue is going to be volatile as well.  
10 And is there any way incentive can be ramped up  
11 or ramped down to address the uncertainty that  
12 exists there?

13           Also, is there any way to make this a  
14 more -- less complicated and clearer process for  
15 the private sector? As I mentioned, several of  
16 the credits that have been awarded to date have  
17 been through pretty cumbersome application and  
18 allocation processes. Additional uncertainties  
19 in the tax code have just made it difficult for  
20 projects to actually be able to claim credits.

21           And finally, if incentives are offered  
22 for capturing carbon dioxide, that CO2 is used to

1 produce oil. That oil is taxed by the Federal  
2 Government under existing tax treatment; there's  
3 no changes that we recommend. But the sum of  
4 those royalties have the potential to finance the  
5 costs of the incentives themselves.

6 This is probably not how congressional  
7 scorekeepers see things. But we think it's an  
8 important thing to consider, moving forward.

9 And just quickly, our NEORI coalition  
10 recommended an expanded and reformed 45-Q. We're  
11 very cognizant of the potential fiscal costs of  
12 such a thing. We recommended that credits be  
13 allocated competitively and that separate  
14 tranches be reserved for power plant and  
15 industrial sources of CO2.

16 Reform would also have the Treasury look  
17 at the sum of incentives to see if the entire  
18 program was meeting its cost-competitiveness  
19 goals.

20 Another option that our group has  
21 endorsed is private activity bonds. These sorts  
22 of bonds have been long available for

1 environmental technologies and have helped speed  
2 their deployment. They would address the up-  
3 front costs of addressing CO2 capture economics.

4           And finally, Master Limited Partnerships  
5 -- that was incorporated into a bill introduced  
6 in the House and Senate. They're an innovative  
7 company structure that has long been available  
8 for other resource extraction opportunities. And  
9 carbon capture could easily qualify for them as  
10 well.

11           And I'll just wrap up here, just saying,  
12 to recap what I've said so far, EOR does pretty  
13 well even during periods of lower oil prices.  
14 CO2 capture projects can be enabled by a  
15 combination of EOR incentive support, and there  
16 is significant political interest in figuring out  
17 how we can do this and meet a variety of public  
18 interest goals.

19           (Applause.)

20           MR. SCHOENFIELD: Mark Schoenfield,  
21 Jupiter Oxygen.

22           In addition to the problem of incentives,

1 as I'm sure you know, one major barrier to CCUS  
2 EOR is the EPA's scientifically erroneous  
3 decision to classify wells, to reclassify  
4 sequestration EOR wells from class 2 to class 6,  
5 which drives up costs tremendously.

6           And the reason is Melzer Consulting and  
7 others have shown that it's scientifically  
8 erroneous is because they use data from empty  
9 pore space to predict what would happen with pore  
10 space that has been under pressure for long  
11 periods of time with oil.

12           So I think it's important that we  
13 recognize one of the barriers here is the EPA's  
14 erroneous regulation, which is under scrutiny and  
15 attack in various places.

16           MR. FALWELL: I can comment on that real  
17 quickly. C2ES doesn't take a position on that,  
18 and that's not a point of consensus within our  
19 coalition. The EPA does recognize one pathway  
20 for recognizing permit CO2 storage through EOR,  
21 and that's the combination of a class 2 well with  
22 subpart RR monitoring.

1 (Pause.)

2 MS. GELLICI: Please join me in thanking  
3 Patrick again for his presentation. Thank you so  
4 much, Pat.

5 (Applause.)

6 MS. GELLICI: There was a lot of good  
7 information in that presentation that we didn't  
8 get to fully in detail, but the presentations  
9 will be posted up on the NCC website. So, please  
10 look for that here in the next week or so.

11 Our concluding presenter this morning is  
12 Jonny Sultoon, who is Research Director of Global  
13 Coal Markets with Mackenzie. Jonny has 14 years  
14 of experience analyzing energy markets. And his  
15 areas of expertise include short- and long-term  
16 demand forecasting for international coal  
17 markets, as well as competition between multi-  
18 fuels in the power generation sector, corporation  
19 analysis of major producers and utilities, and  
20 fundamentals-based price forecasting for the coal  
21 market. Jonny holds a B.A. and an M.A. in  
22 Physics from the University of Oxford in the U.K.

1           Please join me in welcoming Jonny  
2 Sultoon. Jonny?

3           (Applause.)

4           MR. SULTOON: Thanks, Janet. Good  
5 morning, everyone. It's a pleasure to speak at  
6 the NCC event this morning. We've heard a lot of  
7 very interesting presentations. It's clear  
8 there's a lot of passion for the coal industry  
9 here amongst all the members and the talks and  
10 the representations that people have given and  
11 spoken to me so far.

12           Just a brief introduction about Wood  
13 Mackenzie. We're one of the leading commercial  
14 research advisory firms in the energy and mining  
15 space. We have been around for over 150 years,  
16 really over the last 40 years, though, in the  
17 commodities sector. We have about 1,000  
18 employees. We've recently been acquired by  
19 Verisk Analytics last month.

20           In the coal space, we cover both the  
21 supply side and the market side. We have about  
22 35 analysts dedicated purely to coal. They

1 monitor, you know, all the individual assets from  
2 around the world.

3           What are the quality types of different  
4 coal that come from both the domestic producing,  
5 but also the seaborne-facing markets? Looking at  
6 production costs, quality reserve, marketable  
7 production characteristics, financial  
8 acquisition, MNA in that sense as well.

9           We have people working on the market side  
10 as well, looking into fuel competition, where  
11 every coal country that -- well, every country  
12 that consumes coal, we have analytics and  
13 practices built around the way that coal demand  
14 and price is formed. And that's the part of the  
15 industry that I represent.

16           So, what I wanted to talk to you about  
17 today -- well, Janet kindly asked me to talk  
18 about the future for global coal. I could just  
19 say there isn't one and walk away, which is what  
20 the mainstream media want you to believe. But we  
21 actually have quite a different thesis on that.  
22 And, yes, times are very tough on the

1 international coal space, as they are in the U.S.  
2 domestic coal space. But there are some nuanced  
3 points that need to be represented.

4           So, I'll give you a brief history of  
5 time, or the last 15 years in global coal  
6 markets, talk about some of the developments in  
7 China and India, which are really the principal  
8 driving forces for coal markets around the world,  
9 and then wrap up with our commentary on demand  
10 and price and costs and how those will evolve  
11 over the next five, ten, and fifteen years.

12           So, to start with, on coal, coal prices  
13 and coal costs. And this is a picture that we  
14 put together very frequently, just showing the  
15 evolution of coal prices, international coal  
16 prices for thermal and for metallurgical coal  
17 versus the marginal cost of production.

18           And you know, the marginal cost of  
19 production is a proprietary piece of Wood  
20 Mackenzie's research gathered together from all  
21 the assets that we cover.

22           And what we mean by the marginal cost of

1 production, we talk about the 90th percentile  
2 cost contribution to the seaborne market.  
3 Roughly, where has that cost moved over time?  
4 Thermal coal on the left-hand side and  
5 metallurgical coal on the right-hand side.

6           And you can see that coal prices have  
7 been exceptionally volatile. You know, you've  
8 got the boom-and-bust commodity price cycle in  
9 2008 and '09. You have the once-in-a-generation  
10 flooding in Queensland, Australia, in 2010-11,  
11 which had more of an impact on the metallurgical  
12 side, but very much a price impact on thermal  
13 coal.

14           And then, since then you've had pretty  
15 much collapsing coal prices since 2012 from an  
16 elevated price in 2011-2012. And all the way  
17 through the 15-year evolution of coal prices and  
18 coal costs. When you've been in these down  
19 cycles, the prices generally bounce back from the  
20 marginal cost of production, as it did in the  
21 early 2000s, as it did in 2007-08, as it did in  
22 2009, as it kind of did in 2011-12.

1           But the last two years, almost three  
2 years now, we've been in quite nontraditional  
3 market times and nontraditional market dynamics.  
4 And prices have been significantly below costs,  
5 although costs have retreated, for, you know, 18  
6 months to 24 months.

7           And that's quite a unique feature about  
8 the coal market versus other commodities markets.  
9 It talks to the nature of the globalized coal  
10 market, whereas in 2007 and 2008, you didn't have  
11 this behemoth called China sucking up one in four  
12 of every tons on the thermal coal market, for  
13 example.

14           You've had the production on the producer  
15 environment very much focusing on these Chinese  
16 net growth as the new form of demand, rather than  
17 the Japanese and Korean markets, which have been  
18 driving forces over the previous 10 to 15 years.

19           But you have also nontraditional market  
20 imperfections, things like take-or-pay structures  
21 in Australia, where you have very expensive  
22 infrastructure contracts that were put together

1 back in the 2010-11 time frame when prices were  
2 expected to be at much higher levels.

3           And that's implied producers both and  
4 small to keep coal running to avoid paying a  
5 large take-or-pay penalty. And at the same time,  
6 they can work on trying to maximize those  
7 synergies at the mine site and reduce costs.

8           And then you also have things like, you  
9 know, the integrated miners. You know, they are  
10 a larger set than they used to be, less so in  
11 metallurgical coal, but absolutely in thermal  
12 coal. You have, you know, maybe a Glencore or a  
13 Rio announcing a production cut. But then you  
14 look at the world, and there's 100 million tons  
15 of Russian thermal coal, and the producers there  
16 aren't looking at cutting production.

17           You have very different motivation  
18 factors from new entrants. You have the U.S.  
19 producers, who have a very different, unique set  
20 of domestic markets and looking for the  
21 international market for an export valve, or an  
22 export relief valve.

1           So, that fragmentation means, you know,  
2 this coalescing of producer behavior doesn't  
3 really work like it used to. And hence, you have  
4 quite a fragmented market.

5           So, you know, where are we in 2014?  
6 Well, in terms of the seaborne trade of thermal  
7 coal and metallurgical coal, in 2014 there was  
8 essentially no growth whatsoever -- you know, 0.5  
9 percent. After the glory years of 3, 4, 5  
10 percent and principally driven by China, but also  
11 India, from 2008 to 2012-13, that evaporated in  
12 2014.

13           China representing, you know, 225 million  
14 tons of thermal coal. In terms of imports,  
15 that's probably going to drop down to the 175-  
16 million-ton level this year. You're not seeing  
17 that being absorbed by any new countries.

18           You have a staggering amount of  
19 oversupply in terms of supply capacity in the  
20 system. Producers themselves, this is just  
21 looking at thermal coal, for example -- but  
22 producers themselves have talked about production

1 cuts. Some are materializing, but we think  
2 there's still a ways to go on that.

3           You have people like Glencore talking  
4 about 15 million tons of production cuts from  
5 Australia. In reality, we might not see that as  
6 15 million tons less of exports, but it might  
7 come off the top of the capacity.

8           You can see maybe that, you know, that  
9 amount of publicly listed cuts, production cuts  
10 is kind of growing into that 35-to-40 million ton  
11 range, but there's still a lot of excess. And  
12 that excess is only going to get bigger in this  
13 year and into next year when you have the  
14 participation of existing projects.

15           But there's also the brownfield capacity  
16 that's coming on stream, on stream from the time  
17 of a lot of these commitments in terms of supply  
18 expansion around 2010-2011 when prices were  
19 supporting those kind of supply projects.

20           So, there is this, would you say, wave of  
21 supply over capacity that needs to be wound out  
22 of the system. Indonesia is the greatest, in

1 terms of volume, exporter in thermal coal. And  
2 the Indonesians are looking at trying to rein in  
3 illegal production and illegal exports, and  
4 that's quite sizable. You might see quite a big  
5 reduction from the capacity side there.

6 But still, we feel that the market is not  
7 really balanced at the moment, from a supply-and-  
8 demand perspective.

9 So, let's just talk about China. And  
10 what are the fundamental shifts going on in  
11 China? You know, China is very regional. There  
12 are areas in China that are exporting coal, there  
13 are areas in China that are importing coal. As a  
14 whole, you know, it imports around 200 million  
15 tons of thermal coal and 55 million tons of  
16 metallurgical coal.

17 But there is an overarching change in  
18 focus and shift on the environment, on market-  
19 driven policies, on anti-corruption as well, and  
20 that's bleeding through into all the different  
21 industry effects.

22 We've seen quite a lot of growth in terms

1 of environmental protection, so the Air Pollution  
2 Control and Action Plan that was announced at the  
3 end of September 2013. That's evolved slightly  
4 and taken a different turn. But broadly  
5 speaking, that's going to take away a little bit  
6 of coal's market share in the power sector.

7           We've seen a big focus on ultra-low  
8 emissions. And I'll get to that in a point. And  
9 that's an area of positivity in China. I think  
10 there's a very good article I was reading just  
11 before in the Cornerstone magazine on Shenhua's  
12 push at the Gouhua -- if you'll excuse my  
13 pronunciation -- plants that they have, where  
14 they and others are looking at incredible low  
15 emissions of SO<sub>2</sub>, of PM, and of NO<sub>x</sub>.

16           They've really put what looked like an  
17 order of magnitude lower than the best available  
18 targets that are being pushed in Europe and North  
19 America. So that's an area of strategic  
20 interest, I think, for coal markets.

21           But really over the last six to twelve  
22 months, there's been a staggering amount of

1 policy changes, either policy implementation,  
2 evolution of existing policy, or specifically  
3 edicts that have been targeted at the coal  
4 market, that have been hard for industry to catch  
5 up.

6           So, you know, we put together what we  
7 think are the top six. And they're coming  
8 through on quite a regular basis. Some of them  
9 are geared specifically at environmental policy.

10           So, for example, the Air Pollution  
11 Control Action Plan that, first of all, looked at  
12 rapid coal-to-gas switching in heavy  
13 industrialized and urban areas. And it's kind of  
14 moved a little bit in terms of now trying to --  
15 because that gas dispatch isn't there. You know,  
16 the gas pipeline availability isn't there.

17           And now the movement is more kind of an  
18 evolution towards ultra-low emissions, which is  
19 being rolled out on a regional perspective.

20           But the vast majority of these edicts are  
21 more in the domestic protectionist kind of  
22 pocket, if you like. And that's things like the

1 NRDC ordering Chinese generators to lower their  
2 imports by 40 to 50 million tons at the end of  
3 September-October. That's absolutely playing  
4 into those imports that we're seeing in January,  
5 February, and March.

6           A big thorn in the side of the exporters  
7 who look to sell coal into China has been this  
8 issue around trace elements. Trace elements  
9 testing is not really widely used in the global  
10 market. When you look at coal, you're looking at  
11 sulfur ash and heat content primarily, but trace  
12 elements testing around phosphorous, around  
13 fluorine, arsenic -- it isn't really a global  
14 standardized testing that people adhere to.

15           But the trace elements testing that was  
16 introduced 1st of January 2015 and that will  
17 tighten up into July aimed only at the import  
18 market and not the domestic market, where there's  
19 quite a lot of impurities in Chinese domestic  
20 coal as well.

21           That's been, I think, a bugbear for a lot  
22 of prospective exporters into the Chinese market,

1 where they've had to rely on coal sitting at  
2 ports two to three weeks, waiting to get tested,  
3 not a clear homogeneity of those test results,  
4 and waiting perhaps to pay a big fine or be  
5 rejected outright. And that's ground the market  
6 to a standstill.

7           So, at the heart, you know, why is there  
8 a lot of domestic protectionism edicts or those  
9 that are kind of masquerading as environmental  
10 policy? It's because of the competitiveness of  
11 the Chinese coal industry. So, you know, people  
12 often come to us and say, "You've got all these  
13 fancy cost curves. What does the global markets'  
14 competitiveness look like?"

15           And we say, "You know, it's a moving  
16 target." But roughly, you're talking about 15 to  
17 20 percent of seaborne coal is cash-negative at  
18 the moment. If you turn that around and then  
19 look at the Chinese domestic industry, it looks  
20 more like 50-60, possibly even 70 percent.

21           So, any kind of safeguarding or support  
22 that the domestic miners can get from the NRDC

1 and the NEA is really helpful. And that's what  
2 we've seen in policy over the last six to twelve  
3 months.

4           So, just moving tack a little bit, onto  
5 the steel industry and, you know, the hot-metal  
6 production, which really drives coke and coal  
7 demand. Absolutely, there's a problem with steel  
8 overcapacity in the Chinese industry, and that's  
9 been driving a lot of the growth in coke and coal  
10 demand.

11           You know, we do see that returning, you  
12 know, the rate of coke and coal imports on a  
13 global nature softening over the next two to  
14 three years. But we do not see -- people are  
15 talking about peak steel in China. That's not  
16 our perspective. We think peak steel in China,  
17 there's still a long way to go, perhaps in the  
18 late 2020s -- 2025-2026 time frame.

19           We feel that the big area of growth will  
20 be in India, which is a less mature market for  
21 coke and coal and for steel, the steel industry,  
22 and doesn't have the same level of quality or

1 domestic market in terms of volume of coke and  
2 coal.

3           And that will drive this kind of growth  
4 in hot metal production and, hence, coke and coal  
5 imports over the late part of this decade. But  
6 we do see, you know, the start of a kind of  
7 peaking and falling of coke and coal demand in  
8 China as the development of the scrap industry  
9 really gathers pace.

10           And that's kind of started a little bit  
11 now. You've had a lot of, actually, scrap steel  
12 prices plummeting. The only thing that really  
13 saved the Chinese steel industry last year was  
14 this movement to shift a lot of steel into the  
15 export market when the domestic market  
16 consumption was actually quite low.

17           So, if we're going to see an acceleration  
18 of the scrap steel industry, that might bring  
19 that time horizon a little bit forward. But  
20 we're still, you know, bullishly forecasting hot  
21 metal production and coke and coal imports to  
22 grow into next decade. And that will be

1 supported by supply from both existing projects  
2 and also greenfield projects.

3           Shifting to just looking at this,  
4 exploring a little bit more on the Chinese new  
5 energy policy, one thing that we've certainly  
6 seen, and actually a lot of this has already  
7 happened, has been this movement for both thermal  
8 and metallurgical coal demand led industries away  
9 from coastal provinces and into the interior.

10           I mean, these just show a few statistics  
11 from 2005 to 2013, where you've had growth in  
12 plastics, in fertilizer, in smelting, in cement  
13 production, away from eastern provinces and  
14 northeastern provinces into the interior. That's  
15 going to accelerate. You know, China has kind of  
16 dedicated this kind of go-West policy of trying  
17 to produce a commodity superhighway, if you like,  
18 from Zhejiang all the way through to the central  
19 provinces.

20           And we're going to see more of that, this  
21 -- you know, we talk about saturation of coastal  
22 China. And that's a lot of where all the policy

1 on air quality is aimed at, you know, coastal  
2 China. But we feel that there's still a lot of  
3 growth to be had in interior provinces.

4           And, you know, when you're looking then  
5 just at the thermal power side, this is always a  
6 good bone of contention when we describe this to  
7 people in industry about the makeup of Chinese  
8 electricity demand, first of all noting that  
9 coastal Chinese generation is effectively flat or  
10 flattish over the next 15 to 20 years. We feel  
11 that there is a saturation there.

12           But the growth? And this includes all  
13 the assumptions around ultra-high-voltage  
14 distribution lines. It includes all the very  
15 great steps that are being made on the nuclear  
16 industry, on hydro. You know, hydro growth in  
17 2014 and 2015 was exceptionally high in China,  
18 and that's displaced a lot of coal demand,  
19 notwithstanding also that China had very mild  
20 weather in 2015 and the overall power generation  
21 growth had slowed.

22           But, you know, it's hard to get away from

1 the big number in terms of coal's makeup in the  
2 sector. So, you know, although coal's share does  
3 fall from the 75 percent level to maybe the low  
4 60s, possibly 55 percent by 2035, that still  
5 seems an enormous amount of contribution from  
6 non-coal and non-fossil fuels.

7           And just to put that in perspective, you  
8 know, when you're talking about all this big  
9 roll-out, nuclear has to grow fivefold. And in  
10 this new nuclear environment, post Fukushima,  
11 yes, the Chinese have kind of committed to  
12 nuclear growth.

13           That's still a staggering amount of  
14 investment. To even achieve these kind of levels  
15 of support in terms of capacity, you're looking  
16 at the equivalent of a Three Gorges Dam every 18  
17 months to two years for the next twenty years.  
18 And the amount of social difficulty that the  
19 Three Gorges Dam had in terms of the displacement  
20 of population, the moving of population, that's  
21 still a big ask, we say.

22           So, you know, coal is deeply embedded

1 within the power sector. Yes, there are moves to  
2 move it away from coastal generation and move  
3 towards ultra-low emissions, where you have  
4 companies like Shenergy, have sold technology  
5 transfer agreements to the big Chinese generating  
6 companies who are trying to prove ultra-low  
7 emissions.

8           As I said before, orders of magnitude  
9 less for SO<sub>2</sub>, NO<sub>x</sub>, and PM than what's currently  
10 in regulations for the mercury in their toxics  
11 legislation, what's currently in legislation for  
12 the European Industrial Emissions Directive,  
13 which starts next year, which is the broad analog  
14 with IMAT's (phonetic) here in the U.S. that's  
15 driving power plant retirements.

16           And if that can be proved, if you can  
17 look at other plants around the world, like the  
18 Isogo generating station in Japan, which achieves  
19 those low emissions targets, then there's a  
20 positive bit of environment, I think, there for  
21 coal-fired power in China.

22           Then the next big question comes, okay,

1 well, China -- well, if you believe this story on  
2 Chinese demand growth or still coal-for-power  
3 demand growth, where is it going to come from?  
4 Is it all embedded to the domestic industry? Or  
5 will there still be room for imports?

6           And we still feel that there's going to  
7 be room for imports. There is, of course, a lot  
8 of de-bottlenecking in the Chinese industry  
9 that's occurred, being able to bring coal from  
10 Shanxi, AA Shanxi and inner Mongolia out to  
11 coastal provinces and then down. There's been a  
12 lot of de-bottlenecking on the rail side.

13           But even if you look at the rate of  
14 growth of domestic production that we are seeing,  
15 or at the moment -- and this is coming from a  
16 very difficult start, given the financial state  
17 of the domestic industry, there's obviously an  
18 amount of protection there -- there's still room  
19 for imports.

20           And we feel those imports are falling  
21 into 2015 and 2016, but we do feel imports could  
22 push through, you know, the 400 or 500 million

1 ton mark by the end of 2025-2030.

2           Now, India -- as China has gone through  
3 this raft of domestic protectionism over the last  
4 12 months, India has been the market where people  
5 are naturally more interested in. I think  
6 there's been a couple of things going on in  
7 India.

8           First of all, the amount of ebullience  
9 and enthusiasm for India as an investment sector  
10 since Modi's elections last year and the way that  
11 he had turned around Gujarat state, people  
12 thinking that that can now be applied pan-India  
13 in terms of power sector reforms, power demand  
14 growth.

15           And there is a huge amount of latent  
16 capacity for power demand growth in India. But  
17 then there's still a lot of questions to be asked  
18 about domestic coal, and on two fronts -- how  
19 domestic coal will attract private investment,  
20 external foreign investment; and how the coal  
21 blocs that were cancelled by the supreme court  
22 last year will be rebid out.

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1           Now, I don't know how much you follow  
2 that. But the supreme court cancelled about 250  
3 coal blocs for a very opaque and nontransparent  
4 allocation process over the last 20 years. And  
5 those have been cancelled. They've gone through  
6 a three-part auction process. I think we're in  
7 the midst of the third auction.

8           The auction prices are very high. And,  
9 you know, there's a sense that, although there's  
10 a lot of captive coal in the northeast that is  
11 being bid out, some of that will support domestic  
12 coal demand. And our sense is that that has the  
13 potential to be handled quite -- not badly, but  
14 it will take some time to handle that coal  
15 reallocation process.

16           And in such time, there is very much an  
17 upside for imports. Imports surprised to the  
18 upside again last year. A lot of commentators  
19 were thinking, as ourselves, you know, we might  
20 hit thermal imports around the 140-145 million  
21 ton level. They turned out to be 155 million  
22 tons. So, growing into this year, we could

1 almost see India at a parity level with Chinese  
2 imports if Chinese imports are pushed down to  
3 175.

4           So, there's certainly a lot of short-term  
5 growth perspective in the Indian market. I still  
6 think there needs to be a large amount of  
7 concentration on the transportation story. Coal  
8 India and, you know, the government will have you  
9 believe that Coal India will grow to 1 billion  
10 tons within the next five years. We feel that's  
11 a very aggressive scenario.

12           And in looking at that, what use is that  
13 when it's quite stranded as well? There's no  
14 transportation that will be able to bring coal to  
15 market effectively in India just yet. And on top  
16 of that, you have a problem with Indian coal,  
17 unlike Chinese coal, where you have literally no  
18 washing capacity. So, you know, ash levels of  
19 Indian coal can be typically 35-40 percent.

20           So, it's not just the production side.  
21 It's the production side plus the prep and the  
22 washing side, and it's the transportation side.

1 And it's an aggressive target. So we feel those  
2 are providing quite a lot of upside for the  
3 imports into India.

4 Okay. So, I'll skip through Europe  
5 pretty quickly. I mean, Europe and the Middle  
6 East, North Africa, isn't a very positive place  
7 for new coal-fired capacity. The industrial  
8 emissions directive is going to push 40, at least  
9 40 gigawatts of coal plant retirement over the  
10 next five years.

11 The new additions are all centered pretty  
12 much in Poland and Turkey, where there's a lot of  
13 domestic support for coal. And there are a lot  
14 of projects being proposed in Turkey; not all of  
15 them will be built.

16 But coal's capacity in the European  
17 market really falls to below 10 percent, although  
18 we've seen this bump in the last two to three  
19 years, based on very competitive priced coal and  
20 very low carbon prices, whilst gas prices have  
21 been high.

22 Now, as oil prices come down in Europe,

1 those gas index contracts will lower as well, and  
2 there will be a switch back to gas-fired capacity  
3 in places like the U.K. and Germany. But  
4 overall, the story of thermal coal in Europe  
5 isn't particularly positive outside two or three  
6 countries.

7           So, in our view, we see a lot of the  
8 upside in terms of supply coming from three  
9 nations. There's still a lot of risk around  
10 export terminals in the U.S. and how you get, you  
11 know, this big latent capacity of the Powder  
12 River basin out into the international market.

13           That's very challenging, I think, in this  
14 environment from a price perspective, from a  
15 permitting perspective, from an opposition  
16 perspective. But when you're looking around the  
17 world, there isn't a lot of sub-bituminous coal  
18 elsewhere.

19           In Indonesia, there's more of a pivot  
20 towards lignite. We know the Japanese and the  
21 Koreans are very dedicated to try and reduce  
22 their reliance on Australian coal. But that is

1 only a small portion of that sub-bituminous  
2 market. If it eventually gets off the ground, it  
3 will have to come from China and India.

4           Australia provides a lot of high growth  
5 in bituminous coal. Australia provides a lot of  
6 growth in metallurgical coal.

7           But really, outside of Indonesia,  
8 Australia, and the U.S., there isn't a lot of  
9 support for new coal from other basins, which  
10 have problems of infrastructure, say, for  
11 example, in Colombia; expensive rail in Russia;  
12 domestic requirements in South Africa.

13           And so, every time people say, "Well, you  
14 know, PLB West Coast terminals are never going to  
15 get off the ground," well, where is it going to  
16 come from? In Indonesia, you need new mines. In  
17 central Kalimantan, in South Sumatra, with  
18 railways that have never been built before. In  
19 Australia, you're looking at greenfield projects  
20 that have completely gone off the radar, and now  
21 it's only perhaps one proponent in the Galilee  
22 basin. You know, the Surat is not really a word

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 anymore in industry.

2           So, it kind of comes back and forth  
3 between these three countries across different  
4 quality types.

5           So, moving forward. What are we seeing  
6 now on costs and prices? And this is a key  
7 thing. So we saw at the start that prices have  
8 fallen, and costs have fallen as well. Why have  
9 costs fallen? Well, you've had a twin effect  
10 now. When prices rose, they were pretty sticky  
11 and it was quite hard to reduce costs. People  
12 went through layoffs or synergies or upping  
13 production efficiency to heighten productivity.

14           The other aspects of cost relief are  
15 coming from exchange rates and oil price falls.  
16 So, first of all, on exchange rates, just look at  
17 the way the Russian whole segment for -- actually  
18 that should be "thermal coal," not "metallurgical  
19 coal" -- 100 million tons of Russian thermal coal  
20 that is all net-positive now on a margin basis,  
21 while 25 to 30 million tons of metallurgical coal  
22 that's all positive on a margin basis, when a

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 year ago, you would say 20-30 percent was under  
2 water.

3 But the ruble going from 35 to 1 to 60 to  
4 1 and all cost-effectively being contained in  
5 ruble-denominated costs has turned the Russian  
6 cost segment around tremendously, and that's  
7 eating into market share in Europe, and that's  
8 eating into, you know, people like Indonesia's  
9 market share in markets like South Korea and  
10 Taiwan.

11 The second piece on cost is now the  
12 impact of the oil price slide, whereby, yes, you  
13 know, companies are hedged. But the diesel bills  
14 could be quite significant. The diesel bills for  
15 trucking in surface mining operations,  
16 particularly in places like Indonesia, could  
17 lower costs by \$3, \$4, \$5 per ton, maybe \$8 per  
18 ton for some extreme circumstances.

19 You know, for underground mining, that  
20 isn't such a great percentage share, but  
21 certainly for surface mining that's large. And  
22 then you look at the costs for ammonium nitrate

1 for explosives. Those bills are coming down.

2           You're looking at rail fuel surcharges  
3 are coming down for markets like the U.S., where  
4 the domestic transportation chain plays a big  
5 approach. So we are starting to see a lot of  
6 cost reduction from the oil price slide, too.

7           So, finally, what I wanted to end on was  
8 our forecast for a perspective on prices for  
9 thermal coal and metallurgical coal, and then  
10 also just to put in context how the U.S.  
11 participates in these markets, too.

12           So, you know, what have we seen in 2015  
13 so far? We've seen the lowest metallurgical coal  
14 settlement since the quarterly benchmark came  
15 into view in 2010 -- \$109.50, the quarterly  
16 settlement for metallurgical coal. We've seen  
17 just two days ago the lowest settlement for prime  
18 Newcastle thermal coal, the JPU contract into  
19 Japan, at \$67-\$68 as well.

20           Are we starting to see a floor finally on  
21 price? We feel that we are. I think it's going  
22 to be very difficult to see those deep prices.

1 They're going to cut into the supply curve quite  
2 considerably.

3           But remember, in Australia, you're  
4 getting a lot of exchange-rate relief, now that  
5 the Australian dollar has moved to 1.3 to 1. And  
6 those prices now look actually a little bit  
7 higher than they did last year because the  
8 Australian dollar has weakened so considerably  
9 against the U.S. dollar.

10           The people who are going to be exposed  
11 the deepest, unfortunately, are U.S. coal  
12 exporters, who traditionally -- and this is a  
13 very generalized assessment -- are at the higher  
14 end of the cost curve. But, of course, that  
15 varies from producer to producer and from basin  
16 to basin.

17           But at those prices of 67 for thermal and  
18 109 for metallurgical coal, we are going to see a  
19 steep fall-off in exports, you know, down maybe  
20 15-20 percent per year over the next couple of  
21 years.

22           We do see that as positivity in thermal

1 exports out towards the end of this decade as we  
2 start to see some participation from the Illinois  
3 basin as that ramps up, very low cost curves from  
4 people like Foresight, and now with the Foresight-  
5 Murray energy tie-up, probably greater financial  
6 clout, and starting in the participation of PLB  
7 exports, either through expansions through Canada  
8 or through alternative solutions.

9           And I'll stop there because we're  
10 probably overtime, Janet.

11           MS. GELLICI: We'll take a couple of  
12 questions. Anyone?

13           (No audible response.)

14           MS. GELLICI: All right.

15           MR. FALWELL: None?

16           MS. GELLICI: You're off the hook.

17           MR. FALWELL: Thank you.

18           (Applause.)

19           MS. GELLICI: Thank you very much to all  
20 of our presenters this morning. Please join me  
21 in thanking all of our presenters. Thank you.

22           (Applause.)

1 MS. GELLICI: Gentlemen, I'd invite you  
2 to take a seat in the audience. We have a  
3 little, about 10 minutes of business to conduct  
4 here. But I'll let you go down and do that.  
5 Thank you.

6 And again, the presentations will be up  
7 on our website, so you'll have contact  
8 information for the speakers with any follow-on  
9 questions as well.

10 As they're making their way back to their  
11 seats, I'd like to take this opportunity to  
12 acknowledge two of our NCC members who were  
13 instrumental in putting our program together this  
14 year. So, Jackie Bird and Jeff Hopkins. Jackie,  
15 thank you very much for your support. I greatly  
16 appreciate it. I don't think Jeff is here,  
17 unless I've missed him. But thank you very much  
18 for your efforts in putting together a very fine  
19 program for us.

20 The final portion of our program this  
21 morning will focus briefly on a few business  
22 reports. I'd like to begin by introducing Greg

1 Workman, who is the NCC Finance Committee Chair.  
2 Greg is Director of Fields for Dominion  
3 Resources, and Greg will provide us with an  
4 update on NCC's financial status. Thank you,  
5 Greg.@@

6 MR. WORKMAN: Thank you, Janet.

7 I'd like to start off just by thanking  
8 the members of our finance committee that join  
9 with me and recognize those folks: Bob Bibb, who  
10 I'm going to affectionately nickname "Softball,"  
11 Bob Softball Bibb; Paul Gatzemeier, who I think  
12 left; and Kathy Walton.

13 These folks have recently become much  
14 more engaged in the budgeting process and in  
15 overseeing the finances of the National Coal  
16 Council. So, to each of you, thank you. And you  
17 guys give them a pat on the back when you see  
18 them out in the hallway.

19 We've begun to more closely align our  
20 revenues and expenses through the budgeting  
21 process in the last two years. We've made  
22 significant strides in reducing operational



1 sustaining organization. They receive no funding  
2 from the Federal Government. To finance the  
3 activities of the council, NCC relies on annual  
4 voluntary contributions from our members, the  
5 investment of council reserves, and the  
6 generosity of our sponsors.

7           We also rely on in-kind contributions  
8 from our members in support of our meetings and  
9 studies. So, in your package you'll find an  
10 acknowledgement of those NCC members who have  
11 contributed financially to the council this year,  
12 along with a list of the in-kind supporters.

13           On behalf of the NCC leadership, I'd like  
14 to thank those of you who have paid your dues,  
15 sponsored an NCC meeting, or participated on our  
16 chairman's advisory council. A big thank-you as  
17 well to all those who have contributed with in-  
18 kind support.

19           So, Janet, that concludes my finance  
20 report.

21           MS. GELLICI: Thank you. Thank you,  
22 Greg. I appreciate that.

1           I would now like to invite Fred Palmer to  
2 provide with an update on NCC's Coal Policy  
3 Committee activity. Fred?

4           MR. PALMER: Just very briefly, I do want  
5 to second what Janet said earlier with respect to  
6 the Fossil Forward study that just came out under  
7 Amy's leadership. And Bob Hilton, our dear  
8 friend, is here today, too. And I know Bob and  
9 the ALSTOM team worked very hard on that, a  
10 really important contribution to the intellectual  
11 capital that the National Coal Council has put  
12 together over the last several years.

13           We've had discussion, first of all, the  
14 Communication Committee has had discussion with,  
15 Janet will take you through on getting the study  
16 out and its reach. But we've had a lot of  
17 internal discussion about how to have a bigger  
18 impact with the studies that we have and  
19 different models that we can pursue.

20           And one of the things we did two years  
21 ago was the -- when Assistant Secretary Smith was  
22 first with us, was a retrospective on the studies

1 that we have done. And I think putting together  
2 something like that will be really helpful to put  
3 everything in context in terms of all the  
4 different things we've looked at that have been  
5 discussed here this morning.

6           Enhanced Oil Recovery -- Dick is in the  
7 room. He chaired that study, when was that? In  
8 late '13, I think, 2013 that study came out. So  
9 we have been at the forefront of defining supply-  
10 side approaches to providing electricity, fossil  
11 fuels to the American people.

12           In the context of continual emission  
13 improvements leading to near-zero emissions and  
14 the work that we have done doesn't get the reach  
15 that it should and the attention that it should.  
16 And I think we need to work harder at finding  
17 ways to let it be known exactly how we can  
18 proceed.

19           And I include in that embracing President  
20 Obama's 80 percent reduction of greenhouse gas  
21 emissions by 2050 in 2009 in the study that we  
22 did then. And we actually did coal production up

1 from 1 billion tons a year to a 1.5 billion.

2           So, the other initiative that we have  
3 undertaken, that Janet has undertaken, is at the  
4 request of the Secretary's Office, is an advisory  
5 group to create faster turnaround on studies,  
6 shorter studies with a shorter timeline. I'll  
7 let her describe that in more detail.

8           The National Coal Council Coal Policy  
9 Committee will be involved in each of those. All  
10 of you will have the opportunity for input as  
11 this progresses, but it will be quicker. And all  
12 of you will get an opportunity to both comment  
13 on, approve, disapprove, as we have done in the  
14 past.

15           Our client is the Secretary of Energy,  
16 and we do need to be responsive. And I think  
17 this is a great initiative that will give members  
18 an opportunity to have more proactive engagement  
19 with the Department of Energy, the Secretary's  
20 Office, and also for the National Coal Council,  
21 to continue the great work that is done here by  
22 all of you in participating in these studies, in

OLENDER REPORTING, INC.

1100 Connecticut Avenue NW, #810, Washington, DC 20036

Washington: 202-898-1108 • Baltimore: 410-752-3376

Toll Free: 888-445-3376

1 building the record.

2 I want to say finally that I deeply  
3 appreciate the opportunity to continue to chair  
4 the Coal Policy Committee. I do regard it as an  
5 honor. The Secretary of Energy is a client of  
6 the NCC. The members of the NCC are the clients  
7 of the Coal Policy Committee. I'm a lawyer with  
8 a client; you're the client. Thank you very  
9 much.

10 (Applause.)

11 MS. GELLICI: Thank you, Fred.

12 A few points I'd like to make with regard  
13 to the NCC Communications Committee. We met  
14 yesterday to discuss communications-related  
15 activities, and I'd like to highlight just a few  
16 things.

17 We are in the process of finalizing our  
18 new website. The Communications Committee will  
19 be beta-testing that site over the next few  
20 weeks. And we hope to go public with the site  
21 sometime in May.

22 So we'll welcome your comments and

1 feedback on that. It's long overdue, and we're  
2 happy to be kind of moving into the twenty-first  
3 century with our new website. You'll actually be  
4 able to call it up on your mobile devices, unlike  
5 the current site.

6 I did want to thank Arch Coal and Peabody  
7 Energy for their financial support, which has  
8 made it possible for us to develop that new  
9 website.

10 Fred alluded to the fact of getting more,  
11 wider distribution and visibility around our  
12 studies. And that's been a focus of the NCC  
13 Communications Committee for our last two studies  
14 and since I took over in May of 2013, I guess,  
15 now almost two years ago.

16 So, in the past what we've done is  
17 produce reports for the Secretary and basically  
18 give them to him, and then assume that our work  
19 was done. So we've kind of taken a different  
20 approach. And we now feel that we need to take  
21 those studies and get some wider distribution on  
22 it.

1           So the Communications Committee has been  
2 working on that. They have been developing a  
3 series of facts sheets for the Fossil Forward  
4 study. These are up on the current NCC website.

5           A few weeks ago, we participated in a DOE  
6 briefing on the findings and recommendations from  
7 our Fossil Forward study. This is becoming a  
8 regular practice of us, thanks in large part to  
9 Julio Friedman, who is making that possible. So,  
10 for the last two studies, we've had the  
11 opportunity to go in and for an hour brief DOE on  
12 the findings and recommendations from our  
13 studies.

14           We've also briefed EPA on our former  
15 study. We've been doing a lot of outreach.  
16 Folks that were attending from DOE include not  
17 just the Fossil Energy Department, but EPSA, OE,  
18 and actually from the Secretary's Office.

19           So, with regard to the Fossil Forward  
20 study, I a few weeks ago participated in a  
21 Congressional briefing hosted by the CCS Alliance  
22 on the topic of the need for CCS. And

1 additionally, I have made or will be making  
2 presentations on the study to various groups,  
3 including the Global CCS Institute, ICAC,  
4 American Coal Council, ASME.

5           So we're doing our best to kind of get  
6 the study out. Thanks in large part to some  
7 support from Peabody, we also got very extensive  
8 media coverage on our last study when it was  
9 approved in late January. Our news release on  
10 the last study ran on more than 400 news and  
11 media websites. Several trade publications  
12 picked up on the study, and Fred and I were  
13 quoted in numerous articles.

14           And then, we're also writing articles in  
15 blog postings on our study. So again, thank you  
16 to all the members of the communications  
17 committee for their support on this initiative.

18           And then finally, in terms of NCC  
19 business, I'll conclude. Fred referred to a new  
20 initiative that we have underway, which is the  
21 formation of a Secretary's Advisory Group.

22           In an effort to provide Secretary Moniz

1 with more and more timely responses to critical  
2 issues, we will be forming rapid response teams  
3 that are tasked with answering inquiries from the  
4 Secretary in an abbreviated form and in a more  
5 condensed time frame than is typical of our more  
6 expansive studies that we've historically done.

7           The rapid response initiative will not  
8 replace the more extensive studies that we do for  
9 the Secretary, but will supplement those efforts.

10           A Secretary's Advisory Group management  
11 team has been assembled and met this morning.  
12 This group will be responsible for organizing  
13 rapid response teams that have specific expertise  
14 in addressing whatever inquiries we might get  
15 from the Secretary.

16           Members of that rapid response team will  
17 need to be able to commit to developing a  
18 response within 60 to 90 days of the Secretary's  
19 request. We anticipate the document that will be  
20 produced will be on the order of 20 to 40 pages,  
21 as opposed to the 100 to 130 pages we do for our  
22 studies. So again, an abbreviated format,

1 abbreviated time frame.

2 All responses that we provide to the  
3 Secretary will go through the usual review  
4 process by the full NCC membership. And in our  
5 compliance with our charter, all advisories to  
6 the Secretary will be subject to FACA  
7 requirements. So we will continue to host public  
8 meetings or webcasts that provide appropriate  
9 notice of meetings to the public for  
10 participation and comment.

11 And then, I just mentioned that I will be  
12 providing NCC members with further details on  
13 this initiative. But we're very excited about  
14 it. We think it will provide an opportunity for  
15 us to have a greater interaction with the  
16 Secretary's Office.

17 So with that, now in compliance with FACA  
18 requirements for this meeting, I'd like to note  
19 that this meeting is duly authorized and  
20 publicized, and is open to the public. The  
21 public can submit comments to the Department of  
22 Energy.

1           Or if any individual wishes to speak,  
2 they may do so at this meeting. Those who wish  
3 to speak may do so at this time. Does any member  
4 of the public wish to speak?

5           (No audible response.)

6           MS. GELLICI: All right. Seeing none,  
7 I'd like to thank our meeting sponsors, most  
8 especially Southern Company for its events  
9 sponsorship. Thank you as well to Arch Coal,  
10 Bechtel, Clean Coal Solutions, PPL, and the  
11 University of Wyoming for your sponsorship  
12 support. Thank you to Jeff Miller, who is our  
13 videographer. Greatly appreciate Jeff's support.

14           There is an evaluation in your packet.  
15 It's on the yellow sheet. If you can kindly  
16 provide us with some feedback on the meetings or  
17 suggestions for future meetings, and either leave  
18 those at your place setting or leave them with  
19 Hiranthie at the back of the room.

20           There is also in your packet, we're  
21 chartered every other year. So, we are now in  
22 the process of starting our rechartering for the

1 2016-2017 period. In effect, all of your  
2 memberships will be expiring the end of this  
3 year. And we will need to go through a  
4 resubmittal process where you are re-appointed to  
5 the council if you are interested in doing so.

6 So, there's a membership commitment form  
7 in your packet. If you would kindly complete  
8 that and let us know if you are interested in  
9 continuing to serve on the National Coal Council  
10 for 2016-2017, we'd appreciate that.

11 Lunch is going to be across the hall.  
12 You will need a ticket to get in. So that should  
13 be on the back of your nametags.

14 Is there any other business at this point  
15 to bring before the council?

16 (No audible response.)

17 MS. GELLICI: If there's no other  
18 business to come before the council, we stand  
19 adjourned. Thank you again for coming. Cheers.

20 (Whereupon, at 12:43 p.m., the meeting  
21 was adjourned.)

22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

CERTIFICATE OF COURT REPORTER

I, Brian Knieser, the officer  
before whom the foregoing proceedings were taken,  
do hereby certify that the foregoing pages are a  
correct and accurate transcription of the  
proceedings that were recorded by me and  
thereafter reduced to typewriting under my  
direction; that I am neither counsel for, related  
to, nor employed by any of the parties associated  
with these proceedings.

BRIAN KNIESER

